

COMMONWEALTH OF PENNSYLVANIA

PUBLIC UTILITY COMMISSION

----- x  
: Pennsylvania Public Utility Commission, et al.:  
: versus Philadelphia Electric Company. : Docket No.  
: Investigation into a requested \$660 million : R-850152  
: annual rate increase. :  
: ORIGINAL :  
: Further Hearing :  
: ----- x

7 Pages 1578 through 1748 Hearing Room No. 1  
8 State Office Building  
9 Broad and Spring Garden Streets  
Philadelphia, Pennsylvania

Monday, January 6, 1986

Met, pursuant to adjournment, at 10:00 a.m.

BEFORE:

JOSEPH MATUSCHAK, Administrative Law Judge

APPEARANCES:

MARLANE R. CHESTNUT, Esquire  
P.O. Box 3265  
Harrisburg, Pennsylvania 17101  
(For PUC Trial Staff)

**RECEIVED**  
JAN- 9 1986  
SECRETARY'S OFFICE  
Public Utility Commission

DAVID B. MacGREGOR, Esquire  
Morgan, Lewis & Bockius  
2000 One Logan Square  
Philadelphia, Pennsylvania 19103  
(For Philadelphia Electric Company)

DOCUMENT  
FOR ORIGINAL

**DOCKETED**  
JAN 14 1986

APPEARANCES (Continued):

1 DAVID WERSAN, Esquire  
2 1425 Strawberry Square  
3 Harrisburg, Pennsylvania 17120  
4 (For the Office of Consumer Advocate)

4 DAVID M. KLEPPINGER, Esquire  
5 McNeese, Wallace & Nurick  
6 100 Pine Street  
7 Harrisburg, Pennsylvania 17108  
8 (For Philadelphia Area Industrial Energy Users  
9 Group)

8 J. TOMLINSON FORT, Esquire  
9 MICHAEL L. BROWNE, Esquire  
10 J. THOMAS MORRIS, Esquire  
11 Reed, Smith, Shaw & McClay  
12 1600 Avenue of the Americas  
13 Broad and Chestnut Streets  
14 Philadelphia, Pennsylvania 19107  
15 (For SEPTA and Amtrak)

12 ZORI G. FERKIN, Esquire  
13 ROGER E. CLARK, Esquire  
14 Eleventh Floor  
15 300 North Second Street  
16 Harrisburg, Pennsylvania 17101  
17 (For Governor's Energy Council)

16 CHARLES RAINEY, JR., Esquire  
17 Fifth Floor, Municipal Services Building  
18 1101 Market Street  
19 Philadelphia, Pennsylvania 19107  
20 (For City of Philadelphia)

19 MILDRED E. V. PITTS, Esquire  
20 General Services Administration (LK)  
21 18th and F Streets, N.W.  
22 Washington, D. C. 20405  
23 (For U.S. General Services Administration)

APPEARANCES (Continued):

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

JOHN HANGER, Esquire  
Community Legal Services  
Law Center North Central  
3638 North Broad Street  
Philadelphia, Pennsylvania 19140  
(For Consumers Education and Protective Assoc.,  
Action Alliance of Senior Citizens,  
Philadelphia Citizens for Action, and  
Association of Community Organizations for  
Reform Now)

ALAN R. SQUIRES, Esquire  
900 Two Penn Center  
Philadelphia, Pennsylvania 19102  
(For Pennsylvania Business Utility Users Group)

EARLE H. O'DONNELL, Esquire  
Suite 800  
1666 K Avenue, N.W.  
Washington, D. C. 20006  
(For Occidental Chemical Corporation)

BERNARD J. RYAN, JR., Esquire  
800 North Third Street  
Harrisburg, Pennsylvania 17102  
(For Pennsylvania Food Merchants Association)

LARRY B. SELKOWITZ, Esquire  
129 State Street  
Harrisburg, Pennsylvania 17101  
(For University of Pennsylvania and  
Utility Users Group of Philadelphia)

KENNETH R. PEPPERNEY, Esquire  
LOUISE Q. SYMONS, Esquire  
600 Grant Street  
Pittsburgh, Pennsylvania 15230  
(For United States Steel Corporation)

C O N T E N T S

WITNESSES

	<u>DIRECT</u>	<u>CROSS</u>	<u>REDIRECT</u>	<u>RECROSS</u>
1				
2				
3				
4				
5				
6				
7				
8				
9				
10				
11				
12				
13				
14				
15				
16				
17				
18				
19				
20				
21				
22				
23				
24				
25				

William F. Sundermeir  
By Mr. MacGregor  
By Ms. Chestnut  
By Mr. Selkowitz  
By Ms. Pitts  
By Mr. O'Donnell  
By Mr. Kleppinger  
By Mr. Ryan  
By Mr. Fort  
By Mr. Squires

<u>DIRECT</u>	<u>CROSS</u>	<u>REDIRECT</u>	<u>RECROSS</u>
1587	--	--	--
	1588	--	--
	1595	--	--
	1598	--	--
	1627	--	--
	1693	--	--
	1735	--	--
	1738	--	--
	1742	--	--

E X H I B I T S

NUMBER

FOR IDENTIFICATION      IN EVIDENCE

11	<u>Philadelphia Electric Company</u>		
12	Statement No. 24 (Sundermeir)	1586	1588
13	Exhibit No. WFS-1 (Sundermeir)	1586	1588
14	<u>General Services Administration</u>		
15	Cross-Examination Exhibit No. 7 (IR-PAIEUG-1-34)	1605	1625
16	Cross-Examination Exhibit No. 8 (IR-GSA-1-20)	1613	1625
17	Cross-Examination Exhibit No. 9 (IR-GSA-1-17)	1614	1625
18	Cross-Examination Exhibit No. 10 (IR-PAIEUG-1-40)	1618	1625
19	<u>Occidental Chemical Corporation</u>		
20	Exhibit No. 1 (IR-Chem-1-1 through IR-Chem-1-5)	1679	1694
21			
22			
23			
24			
25			

E X H I B I T S (Continued)

NUMBER

FOR IDENTIFICATION

IN EVIDENCE

Philadelphia Area

Industrial Energy Users Group

✓ Exhibit No. 2 (IR-PAIEUG-1-12)

1679

1746

✓ Exhibit No. 3 (IR-PAIEUG-1-10)

1700

1746

✓ Exhibit No. 4 (Rebuttal Testimony  
of W. F. Sundermeir  
at Docket R-842590)

1725

1746

P R O C E E D I N G S

1  
2 ADMINISTRATIVE LAW JUDGE JOSEPH MATUSCHAK: This is  
3 the time and place set for the further hearing in the matter  
4 of the Pennsylvania Public Utility Commission against the  
5 Philadelphia Electric Company, at Docket Number R-850152  
6 and the consolidated complaints.

7 Are there any preliminary matters before we get  
8 started?

9 MR. RYAN: Your Honor, my name is Bernard Ryan. I  
10 would like to enter my appearance today on behalf of the  
11 Pennsylvania Food Merchants Association. I have handed up  
12 to you and I've circulated to several other Counsel copies  
13 of a formal entry of appearance form. The originals will be  
14 filed with the Secretary in Harrisburg.

15 I've also entered the appearance of a partner of mine,  
16 George Miller, in Philadelphia, but I've noted on the form  
17 that service on me in the Harrisburg office will be sufficient.

18 JUDGE MATUSCHAK: Thank you.

19 MR. PEPPERNEY: Your Honor, I would also like to enter  
20 my appearance. My name is Kenneth R. Pepperney and I'm  
21 appearing on behalf of United States Steel Corporation. With  
22 me today is Louise Q. Symons of our office. She also is  
23 co-Counsel for U. S. Steel in this case.

24 U. S. Steel has filed a complaint. We filed it after  
25 the prehearing conference. We attended the prehearing

1 conference. At that time our attorney indicated that we were  
2 not certain as to how we were going to proceed with witnesses.  
3 For the information of the other parties I would like to  
4 state today that we will be co-sponsoring witnesses along  
5 with the group of industrial customers who Mr. Kleppinger  
6 represents.

7 JUDGE MATUSCHAK: Very well.

8 MS. PITTS: Your Honor, I'm Mildred E. V. Pitts, of  
9 the General Services Administration, representing the  
10 Federal Executive Agencies.

11 JUDGE MATUSCHAK: Very well.

12 Is Mr. Bosch present, representing some of the  
13 universities, present here?

14 (No audible response.)

15 JUDGE MATUSCHAK: Mr. Bosch, among other things, has  
16 indicated that he wishes to join another university in that  
17 joint complaint of Temple University, Bryn Mawr and so forth.  
18 Since he's not here we will have to make a written order.  
19 He inquires of us as to whether his letter is sufficient to  
20 make Thomas Jefferson University a joint party within that  
21 complaint.

22 He will have to reject that form of incorporation of  
23 Thomas Jefferson University within that joint complaint.  
24 Although we are not about to issue an advisory opinion as to  
25 how Counsel should proceed to prosecute their case and to

1 make the proper filing according to the procedures, we would  
2 suggest that Counsel in that case check the rules, and if  
3 he wants to he can check with the Secretary's office to  
4 determine what rules he should comply with in order to add  
5 a party to a joint complaint that is already filed. We are  
6 not going to tell him how to do it. That is his responsi-  
7 bility.

8 There had been a request from one of the parties to  
9 this proceeding, Community Legal Services. Does somebody  
10 represent Community Legal Services?

11 MR. HANGER: Yes, I do, Your Honor. My name is John  
12 Hanger.

13 JUDGE MATUSCHAK: In our conversation you indicated  
14 that you wanted to have your expert cross-examine the  
15 Company's witnesses Williams and Sundermeir on January 7th.  
16 We indicated we will permit that. Counsel for Philadelphia  
17 Electric will arrange to have those witnesses present  
18 tomorrow.

19 MR. MacGREGOR: Which witnesses are we referring to?

20 MR. HANGER: Mr. Williams and Mr. Sundermeir.

21 MR. MacGREGOR: That will be fine.

22 MR. HANGER: Thank you.

23 JUDGE MATUSCHAK: There are any other preliminary matters?

24 MS. FERKIN: Your Honor, I represent the Energy Council.

25 On December 20th, Your Honor, the Energy Council filed a

1 request for the postponement of the filing of our phase-in  
2 testimony. The Company filed a response on January 2nd -- or  
3 an answer to our request. Today we have filed a very brief  
4 response to the Company's answer.

5 I was wondering if it would be possible for Your Honor  
6 to give some indication as to when you will rule on our  
7 request.

8 JUDGE MATUSCHAK: We will hear you this afternoon on  
9 that matter after we have had a chance to read your response.  
10 We will hear you this afternoon and rule on that matter.

11 MS. FERKIN: Thank you very much, Your Honor.

12 MR. WERSAN: Your Honor, I would like to note that  
13 when we closed the hearings in Harrisburg the possibility of  
14 cross-examining PECO Witness Dr. Louis Perl was left open for  
15 today. An agreement, as I understand it, has been worked out  
16 between the Company, the Staff and the Consumer Advocate such  
17 that Dr. Perl will not be called for cross-examination but  
18 certain of his answers to interrogatories will be moved into  
19 the record. I believe those exhibits will be made tomorrow.  
20 I assume Mr. Calvert or some representative of the Company  
21 will present that information or be aware of that tomorrow.

22 MR. MacGREGOR: That is our understanding. I think  
23 it would also be appropriate at that time to admit Dr. Perl's  
24 addendum testimony into evidence if there is no objection.

25 MR. WERSAN: Yes.

1 MR. SELKOWITZ: Your Honor, unknown to those three  
2 parties, because of an answer to an interrogatory sponsored  
3 by Dr. Perl we had some questions for him on behalf of the  
4 University of Pennsylvania and we just assumed that he was  
5 coming down here this morning so I never bothered to communi-  
6 cate that to anybody.

7 We will review what we have and we may be able to  
8 come to a stipulation on the answers to a few things and not  
9 have to ask that he be recalled. We will try to do that.

10 MR. MacGREGOR: That's fine.

11 JUDGE MATUSCHAK: You check with the Company and with  
12 the Consumer Advocate to see about those additional areas  
13 that you want to probe, and if you will keep Mr. Perl on  
14 hand this afternoon -- can you tell us this afternoon?

15 MR. SELKOWITZ: We don't have to do it this afternoon.  
16 I assume he's not in town. But we can get him another day.

17 JUDGE MATUSCHAK: Well, we will await your response and  
18 give you an opportunity if you want it. You will have to  
19 contact the company.

20 MR. SELKOWITZ: Fine. Thank you.

21 JUDGE MATUSCHAK: Anything further?

22 MS. PITTS: Your Honor, I have a preliminary procedural  
23 matter. With regard to the Company's supplemental direct  
24 testimony of Joseph Brennan concerning the energy cost rate,  
25 which was just filed, I would like to know in what category

1 this testimony comes and when there will be an opportunity  
2 for cross-examination.

3 MR. MacGREGOR: Your Honor, there were four pieces of  
4 testimony which constituted the Company's response to the  
5 Commission's order in the ECR No. 8 investigation as to the  
6 proposal for a revised energy cost rate. We have not  
7 established with the parties a proposed schedule during which  
8 that would be cross-examined, but Mr. Brennan's supplemental  
9 testimony along with those other three statements will be  
10 cross-examined as a group under the schedule that is  
11 eventually established by Your Honor.

12 JUDGE MATUSCHAK: We don't have our schedule of dates  
13 and places completed. We will have to do that before we leave  
14 this week.

15 We suggest that Counsel confer with each other and see  
16 when an appropriate time would be to take the matter of the  
17 ECR into this already overburdened rate case.

18 If there is nothing further preliminarily we may  
19 proceed with the first witness.

20 MR. MacGREGOR: Thank you, Your Honor.

21 Your Honor, we are turning to the rate structure portion  
22 of the case this week. The Company's first witness is Mr.  
23 William F. Sundermeir, who has not been previously sworn.  
24  
25

1 Whereupon,

2 WILLIAM F. SUNDERMEIR

3 having been duly sworn, testified as follows:

4 JUDGE MATUSCHAK: You may proceed.

5 MR. MacGREGOR: Your Honor, I have previously  
6 distributed to Your Honor and to the court reporter and to  
7 all parties copies of a document entitled "Pennsylvania  
8 Public Utility Commission versus Philadelphia Electric  
9 Company, Docket No. R-850152, Direct Testimony of William  
10 F. Sundermeir, Class Cost Allocation and Unit Cost Study."  
11 I would ask that it be marked for identification purposes as  
12 Company Statement No. 24.

13 JUDGE MATUSCHAK: It will be so marked.

14 (Whereupon, the document was  
15 marked as PECO Statement No.  
16 24 for identification.)

17 MR. MacGREGOR: Your Honor, I have also distributed  
18 copies of a document entitled "Philadelphia Electric Company  
19 Electric Operations, Exhibit WFS-1, Allocation of Costs and  
20 Rates of Return by Classes of Service, 12 Months ended June  
21 30, 1986," and I would ask that it be marked for identification  
22 as PECO Exhibit WFS-1.

23 JUDGE MATUSCHAK: It will be so marked.

24 (Whereupon, the document was  
25 marked as PECO Exhibit No.  
WFS-1 for identification.)

DIRECT EXAMINATION

1  
2 BY MR. MacGREGOR:

3 Q Mr. Sundermeir, do you have before you copies of  
4 a document that has been marked for identification as Company  
5 Statement No. 24?

6 A I do.

7 Q Is this document in fact a copy of your direct  
8 testimony in this proceeding?

9 A Yes.

10 Q Was this document prepared by you or under your  
11 direct supervision?

12 A Yes.

13 Q Mr. Sundermeir, if you were asked the same questions  
14 contained in Statement No. 24 again today, would your answers  
15 be the same as those contained therein and would they be  
16 true and correct to the best of your knowledge?

17 A Yes.

18 Q Mr. Sundermeir, were you also responsible for the  
19 preparation of the document that has been marked for identi-  
20 fication as PECO Exhibit WFS-1?

21 A Yes.

22 Q Is the information contained in this document  
23 true and correct to the best of your knowledge?

24 A Yes.

25 MR. MacGREGOR: Your Honor, I would ask that the

1 documents that have been marked for identification as PECO  
2 Statement No. 24 and Exhibit WFS-1 be admitted as evidence in  
3 this proceeding subject to any timely motion to strike or other  
4 objection.

5 JUDGE MATUSCHAK: Under those conditions the motion is  
6 granted.

7 (Whereupon, the documents marked  
8 as PECO Statement No. 24 and  
9 Exhibit WFS-1 were received in  
evidence.)

10 MR. MacGREGOR: Your Honor, Mr. Sundermeir is available  
11 for cross-examination.

12 JUDGE MATUSCHAK: Who wants to start the cross-examina-  
13 tion?

14 MS. CHESTNUT: I will, Your Honor.

15 JUDGE MATUSCHAK: Very well.

16 CROSS-EXAMINATION

17 BY MS. CHESTNUT:

18 Q. Good morning, Mr. Sundermeir.

19 A. Good morning.

20 Q. Mr. Sundermeir, I would like to refer you to what  
21 has been marked as admitted as PECO Exhibit WFS-1, specifically  
22 pages 47 through 54.

23 Do you have that reference, Mr. Sundermeir?

24 A. Yes.

25 Q. Am I correct that these pages show the cost/

1 revenue curves for the HT and PD classes?

2 A. Those were pages 47 to 54? Yes.

3 Q. And what a cost/revenue curve does is simply  
4 compare the cost allocated to serve a particular class with  
5 the revenue generated by that class; is that correct?

6 A. Yes.

7 Q. On page 49, Mr. Sundermeir, where it shows maximum  
8 demand, 1,300 KW, am I correct that this is generally taken  
9 to be the maximum demand of an average HT customer?

10 A. That would be the approximate average demand, yes.

11 Q. And that the analogous demand for a PD customer  
12 would be shown on page 53 and is 175 KW?

13 A. That's correct.

14 Q. Now, if we look at these curves, Mr. Sundermeir,  
15 what they show is that average customers at these demand  
16 levels are producing revenue in excess of the costs incurred  
17 to serve them; is that correct?

18 A. No, I don't think that's actually correct. What it  
19 shows is that for a theoretical customer that has the same  
20 demand month in and month out it would produce possibility a  
21 higher revenue. But, of course, the actual rates themselves  
22 are not theoretical.

23 Q. Do you want to explain that a little further?

24 A. Well, when we develop -- let me back up on that as  
25 to how the rates are developed. We develop a cost curve and

1 then we determine the energy pricing by the slopes of the cost  
2 curve between the various price blocks. Also, from the cost  
3 data we can determine the customer component of costs.

4 At this point we then, by applying these prices to  
5 the billing determinants, the energy billing determinants and  
6 the number of customers, we can determine how much revenue  
7 we are going to recover from those prices. Of course, it  
8 leaves a balance of the total revenue requirement, and that  
9 is determined by taking that balance and dividing it by the  
10 number of billing units during the test year. That is how  
11 that price is determined.

12 Now, those billing units are really determined by  
13 the actual customers as they occur and the price is then set  
14 to recover the total revenue requirement for that class of  
15 service. So when you look at the resulting rates and you  
16 make a comparison -- a theoretical comparison -- to a  
17 customer with a given 1,300 kilowatts, 12 months a year, there  
18 may be some variation between the actual cost curve and the  
19 actual revenue curve. However, the way the rates are designed  
20 the revenue curve is parallel to the cost curve.

21 Q. It's also an objective of the company to design  
22 the rates to produce at least as much revenue as the costs,  
23 to cover the costs; is that correct?

24 A. That's correct.

25 Q. And that's an important objective in rate structure

1 design?

2 A. That's correct.

3 Q. And if we look at the rate of return rates on  
4 page 6-A of Exhibit WFS-1, the bottom line marked rate of  
5 return, 12.70 is the system average rate; is that correct?

6 A. That's correct.

7 Q. And 12.23 and 12.4 are the respective rates for  
8 Rates HT and PD?

9 A. That's correct.

10 Q. And these rates show that these classes are earning  
11 less than the system average?

12 A. The rates that we filed are producing the returns  
13 that are shown at the bottom of page 6-A.

14 Q. And the returns that they are producing on the  
15 rates that you filed are less than the system average?

16 A. Slightly less than the system average; that's  
17 correct.

18 Q. And that's even though your revenue/cost curves  
19 show that they are producing revenue in excess of the cost of  
20 service?

21 A. Keeping in mind, again, that the cost/revenue  
22 curves are based on a theoretical size customer that would  
23 have the same billing determinants every month. You would  
24 hardly expect -- I wouldn't expect, at least -- for that  
25 revenue curve to fall right on the cost curve.

1           What I would expect by the way we design the rate is  
2           that it would be at least parallel to the cost curve, and it  
3           is.

4           Q    Well, I understand that due to the inherent  
5           limitations and practical difficulties you can't design cost  
6           curves for every actual customer for every month, but given  
7           the theoretical basis that is used to produce these curves  
8           I would presume that they have some relationship to reality.

9           A    They do have some relationship to reality. The  
10          pricing of the energy and the pricing of the customer charge  
11          are directly related to those costs. It's only the resulting  
12          shift of the revenue curve that results from the pricing of the  
13          demand charge to recover your total revenue requirement that  
14          is not recovered by the other charges that you could get some  
15          discrepancies between this theoretical -- the actual cost  
16          curve and the revenue curve.

17          I might add that the method used is precisely the method  
18          that we used in, I would say, the last five or six, at least,  
19          rate cases, and is the method that was ordered by the Commis-  
20          sion in, I think, R.I.D. 438.

21          Q    Would the company use a different method if it had  
22          the choice?

23          A    No. I think it's a good method.

24          Q    You think it's the most accurate method?

25          A    I think you wind up with a pricing of your rate

1 that is as close to the costs as you can possibly take it,  
2 all things being considered.

3 Q Thank you, Mr. Sundermeir.

4 Now I would like to refer you to the Company's  
5 response to IR-Staff-RSS-2.

6 MS. CHESTNUT: Your Honor, I'm not going to mark this  
7 as an exhibit because we are going to include it as an  
8 exhibit in my witness' testimony. I do want to ask Mr.  
9 Sundermeir one clarifying question with respect to it,  
10 though.

11 JUDGE MATUSCHAK: Certainly.

12 THE WITNESS: I'm sorry. Could you tell me the number  
13 again?

14 MS. CHESTNUT: RSS-2 -- IR.

15 BY MS. CHESTNUT:

16 Q The pages aren't numbered, Mr. Sundermeir, but I  
17 would like to refer you to page six of the answers, for the  
18 Reading System.

19 A Yes.

20 Q You have a charge of \$13.66 shown -- a customer  
21 charge of \$13.66 shown; is that correct? That's for the  
22 Reading System.

23 A Yes.

24 Q Should that be \$13.36? I have a copy of the  
25 tariff.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

A. I have one.

(Witness perusing documents.)

A. Yes.

Q. Yes, that should be \$13.36?

A. Yes.

Q. And that would carry through to the totals?

A. Yes. It would make a difference of \$30 a month times 12.

Q. Would you supply a corrected version of this response, please?

A. Certainly.

Q. Now, keeping with this response, on page nine, also with the Reading System, for the month of May, 1985, and June, 1985, should that number be \$13.36?

A. Yes.

Q. And that's because there's only one delivery point?

A. Yes.

MS. CHESTNUT: Thank you, Mr. Sundermeir.

Your Honor, that's all the questions I have for this witness.

JUDGE MATUSCHAK: Consumer Advocate?

MR. WERSAN: Your Honor, if I may I would like to defer my cross-examination of the Company witnesses.

JUDGE MATUSCHAK: Who wants to go next?

MR. SELKOWITZ: I will, Your Honor.

1 JUDGE MATUSCHAK: Mr. Selkowitz.

2 MR. SELKOWITZ: Thank you.

3 CROSS-EXAMINATION

4 BY MR. SELKOWITZ:

5 Q. Mr. Sundermeir, good morning. I'm Larry  
6 Selkowitz and I represent the University of Pennsylvania.  
7 I have just a few questions, also.

8 Specifically with reference to the demand ratchet for  
9 Rate HT customers, do you know how many years that form has  
10 been in effect for PECO?

11 A. I don't know precisely how many years. I know it's  
12 quite a few years.

13 Q. "Quite a few" is seven, eight, ten? An estimate  
14 rather than the words "quite a few"?

15 A. It's at least ten years.

16 Q. Do you recall a statement that you made in your  
17 rebuttal testimony in July of 1983 in a Philadelphia Electric  
18 rate case -- and I'm going to read it to you to see if this  
19 refreshes your recollection:

20 "The purpose of the demand ratchet is to send a  
21 price signal to HT customers encouraging them to reduce their  
22 summer demand. These demand reductions benefit all customers  
23 through lower fuel costs and in decreasing the need to add  
24 new capacity. Moreover, the ratchet also insures that the  
25 company will at least partially recover the costs it incurs

1 to supply an additional KW of demand during the summer."

2 Do you recall that statement?

3 A. Yes.

4 Q. Does that correctly reflect your present position  
5 as to the purpose of the demand ratchet?

6 A. Yes.

7 Q. Do you have any other purposes, any additions  
8 you would wish to make to that answer today?

9 A. I think that fairly well sums it up.

10 Q. Now, again referring to the ratchet, am I correct  
11 that the company does not know how much revenue it collects  
12 due to the imposition of that form of a rate?

13 A. That's correct. In order to determine that value  
14 it would be necessary to bill every customer twice and take  
15 the difference between the two calculations.

16 Q. And that, of course, gives you the actual dollars  
17 collected from it. Have you made estimates of what it is  
18 as an approximation?

19 A. I have not.

20 Q. Are you aware of anyone else in the company that  
21 has and simply hasn't provided it to you?

22 A. No, I'm not.

23 Q. In WFS-1 you provide the results of an alternative  
24 cost of service methodology, do you not, other than the one  
25 being recommended by the company?

1 A. We provide the result of an average and excess  
2 cost allocation.

3 Q. In the past you have provided -- that is, in past  
4 rate cases -- you have provided more than one additional such  
5 result, as I recall.

6 A. That's correct.

7 Q. Generally, what other ones did you provide in those  
8 days?

9 A. I think it was a single coincident peak, a winter  
10 peak, an average demand and a non-coincident peak, if I  
11 recall.

12 Q. Did you supply those in response to regulatory  
13 requirements?

14 A. Yes.

15 Q. Has that regulatory requirement been dropped?

16 A. Yes. They only require a coincident peak, which  
17 the company uses, a coincident peak. So we are providing  
18 that. And also the average and excess.

19 Q. And that's the reason why you didn't provide any  
20 of the other ones?

21 A. Yes.

22 Q. Does the company for its own purposes do the  
23 other ones?

24 A. No.

25 Q. You have been released from any obligation to even

1 run those for internal research purposes?

2 A. That's correct.

3 MR. SELKOWITZ: That's all I have. Thank you, sir.

4 No further questions, Your Honor.

5 JUDGE MATUSCHAK: Mr. Kleppinger.

6 MR. KLEPPINGER: Your Honor, I believe Ms. Pitts would  
7 like to proceed before me.

8 Your Honor, I have another consultant who is probably  
9 due in at about one o'clock. So if possible I would like to  
10 go this afternoon. But rather than break up the hearing I  
11 can go.

12 MR. O'DONNELL: Your Honor, we would be pleased to  
13 follow as the cross-examining attorney following Ms. Pitts.

14 CROSS-EXAMINATION

15 BY MS. PITTS:

16 Q. Good morning, Mr. Sundermeir.

17 A. Good morning.

18 Q. I am Mildred Pitts, with the General Services  
19 Administration, representing the Federal Executive Agencies.

20 Referring to the category of cost of service, how long  
21 have you been in your present position, Mr. Sundermeir?

22 A. I believe it's about 13 years.

23 Q. And would you please describe your basic responsi-  
24 bilities in this position?

25 A. Yes. I'm the supervisor in charge of the cost

1 and load analysis section of the Rate Division, and as the  
2 name implies, we are responsible for producing cost studies  
3 such as the one that we have submitted in this case in  
4 WFS-1 and also the supporting load studies that are primarily  
5 used for the allocation of many of the costs in the cost  
6 study. In addition to that, we get involved in other areas  
7 such as rate design, particularly when it's tied in directly  
8 with costs.

9 Q In the cost of service study that you prepared for  
10 this case, WFS-1, what is the time period of that cost of  
11 service study?

12 A It's the test year ended June, 1986.

13 Q June 30, 1986?

14 A Yes.

15 Q And how was it developed?

16 A Well, basically we take the costs for that time  
17 period, make the appropriate adjustments to those costs in  
18 accordance with the adjustments that are indicated in Exhibit  
19 TPH-2, and using the appropriate allocation schedules we  
20 allocate those costs to the various classes of service.

21 Q And you develop this cost of service study using  
22 the costs and expenses from Mr. Hill's Exhibit, TRH-2?

23 A TPH-2, yes.

24 Q TPH-2.

25 A Yes.

1 Q Mr. Sundermeir, referring to page five of your  
2 direct testimony, you state that the data -- you state  
3 explicitly that the data in Exhibit WFS-1 is budget data for  
4 the 12 months ended June 30, 1986, adjusted to reflect the  
5 adjustments made by Mr. Hill in TPH-2; is that correct?

6 A. That's correct.

7 Q Does this mean that you are taking adjusted  
8 expense and revenue data and allocating it among the rate  
9 classes?

10 A. Well, whatever adjustments that are made by Mr.  
11 Hill, regardless of to what account they are made to, we  
12 do make those adjustments and then allocate those expenses  
13 to the appropriate class of service.

14 Q Well, if we were to take a figure from your  
15 allocation exhibit, we could then identify the derivation of  
16 that figure in Mr. Hill's cost of service exhibit; is that  
17 true?

18 A. It may not be -- the figures are all in TPH-2.  
19 As I said, we take the book numbers, or the budgeted numbers,  
20 for the year ending June 30, 1986, and we use Mr. Hill's  
21 adjustments and make certain adjustments to various accounts.

22 Q Would you please turn to your Exhibit WFS-1,  
23 Section 1, page 6-A, the cost of service study?

24 A. Yes.

25 Q And this particular table on 6-A is the allocation

1 of revenues, expenses and rate base to the classes for the  
2 12 months ended June 30, 1986; is that correct?

3 A. Really, what is shown on pages 6-A and 6-B is  
4 a summary of the results of the allocation.

5 Q. Looking at this same page, 6-A, at line one,  
6 entitled "Total Operating Revenue" and the first column,  
7 this amount is the total revenues anticipated under the  
8 present rate schedules for the test year period; is that true?

9 A. That's correct.

10 Q. The balance of line one across page 6-A and page  
11 6-B shows the revenues for the different rate cases or  
12 voltage levels; is that correct?

13 A. By the different rate classes, yes.

14 Q. Since as you stated the schedule on pages 6-A and  
15 6-B is a summary scheduled, the detail behind this schedule is  
16 covered in Section 2, specifically pages 7-A and 7-B for the  
17 revenue detail; is that correct?

18 A. Yes.

19 Q. Also, similar data can be found in those same  
20 schedules relating to O&M expenses, depreciation, taxes,  
21 et cetera, for the corresponding detail schedules in Section  
22 2; is that correct?

23 A. The details of all that are shown in Section 2.

24 Q. In order to find the source of this revenue data  
25 we must locate a similar schedule in Mr. Hill's Exhibit TPH-2;

1 is that also true?

2 A. I don't know about a similar exhibit. I do know  
3 that we have submitted a response to an interrogatory which  
4 I could identify for you, but not off the top of my head, that  
5 would show the connection between TPH-2 and WFS-1 relative to  
6 the revenue.

7 Q Do you have that available?

8 (Witness perusing documents.)

9 Q If it's going to take too much time to locate it,  
10 would you be good enough to provide it for the record?

11 A. Yes. As I said, it was information that was given  
12 in response to an interrogatory. So we can make reference to  
13 that interrogatory.

14 MR. MacGREGOR: Why don't we look up the specific  
15 response at the break and we will give it to you then?

16 MS. PITTS: Okay.

17 BY MS. PITTS:

18 Q It was an answer to what party's interrogatory?

19 A. We are looking it up. As soon as you know we  
20 will --

21 Q Okay.

22 I would like now to turn to Exhibit TPH-2 that we have  
23 been discussing, Mr. Hill's exhibit, page A-5.

24 A. Yes.

25 Q Looking at page A-5 of Exhibit TPH-2, this shows a

1 breakdown of sales and revenues by rate class; does it not?

2 A. Yes.

3 Q. Therefore, Column 6, entitled "Base Revenue", is  
4 similar to line one of your pages 6-A and 6-B of Section 1;  
5 is that correct?

6 A. Similar to, but there are adjustments that are  
7 made to the revenues and other revenues and so forth that  
8 are added. I think, as I explained earlier, we have an  
9 exhibit that would tie those values shown on A-5 of TPH-2  
10 explicitly to the values that we show in our cost allocation.

11 Q. I appreciate that, Mr. Sundermeir, and I would  
12 like to return to that exhibit when it's available. Perhaps  
13 we can compare a few basic items now.

14 If you look at TPH-2, comparing the total electric  
15 base revenue in TPH-2 with the total revenue in WFS-1, it  
16 shows your total to be less by \$89,163; is that true, subject  
17 to check?

18 (Witness performing calculations on electronic  
19 calculator.)

20 A. Yes.

21 Q. Also, in your exhibit, pages 6-A, 6-B, et cetera,  
22 they don't have \$1,000 in parenthesis there as does TPH-2.  
23 That should be added, shouldn't it?

24 A. Yes.

25 Q. Therefore, the figure that we referred to as being

1 \$89,163 is actually \$89,163,000?

2 A. Yes.

3 Q. What effect will this lower revenue figure in your  
4 exhibit have upon the rate of return computed on line 31?

5 A. It really will have no effect. As I said, we  
6 bridge the gap between the numbers that are shown in base  
7 revenue on TPH-2.

8 (Witness perusing documents.)

9 A. In response to Philadelphia Area Industrial Energy  
10 Users Group Interrogatory IR-PAIEUG-1-34, it shows the bridge  
11 between the values shown in Mr. Hill's exhibit on A-5 and the  
12 values used in my exhibit on page 6-A.

13 (Pause.)

14 A. Basically, there are several adjustments that are  
15 made to the values shown on page A-5. There is an adjustment  
16 for state tax adjustment, there is an adjustment for growth  
17 that Mr. Hill included on a single line at the bottom.

18 Q. Excuse me, Mr. Sundermeir. Would you happen to  
19 have an extra copy of that that I might look at while you're  
20 going through the summary of what the changes are?

21 (Document handed to Counsel Pitts.)

22 MS. PITTS: Your Honor, I would like at this time to  
23 have this exhibit, which the company is referring to, marked  
24 for identification as the next GSA trial exhibit. I believe  
25 that's GSA Trial Exhibit 7.

1 JUDGE MATUSCHAK: Very well. You provide the copies  
2 for the record and for us and for the other parties.

3 (Whereupon, the document was  
4 marked as GSA Cross-Examination  
Exhibit No. 7 for identification.)

5 MS. CHESTNUT: Your Honor, what's the reference to  
6 that response?

7 MS. PITTS: It is the answer to -- the company's  
8 answer to IR-PAIEUG-1-34. And the title is "Reconciliation  
9 of the Base Revenue by Rate Schedule for the year ending  
10 June 30, 1986, as shown on Schedule A-5 of Exhibit TPH-2  
11 to the Operating Revenue by Cost of Service Class Shown on  
12 Pages 7-A and 7-B of Exhibit WFS-1."

13 BY MS. PITTS:

14 Q Now, Mr. Sundermeir, if you will be good enough to  
15 enumerate very briefly for us what those adjustments are that  
16 are incorporated in this exhibit.

17 A Yes. The first adjustment is for the state tax  
18 adjustment charge. And the origin of that can be found in  
19 TPH-2, page D-1.

20 The second adjustment is the growth adjustment. And  
21 the origin of that is TPH-2, page D-3.

22 The third adjustment is an energy cost rate adjustment  
23 which is described on page D-4 of TPH-2.

24 There is an adjustment, a time of use adjustment,  
25 made to the HT class and the proposed rates for the railroads,

1 EPA and EPS.

2 And finally, there is a final adjustment to reflect  
3 the fuel savings resulting from Limerick and that is  
4 described in TPH-2, page D-21.

5 Q Thank you, Mr. Sundermeir.

6 When you were describing your official duties you  
7 mentioned that you performed load surveys. That is from --  
8 I mean, you develop load data, and this load data is either  
9 from actual data or from a load survey; is that correct?

10 A Yes, it is.

11 Q What actual data do you have available, for what  
12 major rate classes do you have the actual data?

13 A Well, we collect data for Rate HT, PD, the street  
14 lighting rates, on the days of the peak.

15 For Rate R and RH and GS we use prior years' load  
16 survey data and we obtain new load survey data on a four year  
17 cycle. And that load survey data is then adjusted to reflect  
18 the actual conditions on the day of the peak for which we  
19 are trying to develop the load.

20 Q And what is the time period that you have actual  
21 data through?

22 A Well, for every rate except the residential and  
23 the small commercial and industrial we have current load  
24 data on the days of the peaks.

25 Q Is the data developed at the meter level?

1 A Yes, it is.

2 Q Is the data then adjusted one half-hour by one  
3 half-hour to reflect voltage level losses?

4 A Yes.

5 Q And is this contained in the Section 9, line loss  
6 study in WFS-1?

7 A The study -- the basis for the calculation of the  
8 losses is contained in that section, yes.

9 Q And that is still in 1984?

10 A That's the one we used in 1984, yes.

11 Q How is the 1984 data adjusted to 1986 data?

12 A I believe that was provided in response to an  
13 interrogatory, but basically what is done is we adjust the  
14 load data that we develop in 1984 by the ratio of the test  
15 year sales to the 1984 sales, annual sales.

16 Q Is this ratio a constant for each half-hour of  
17 each of the four monthly coincident peak days?

18 A No. All we are doing is taking the, for example,  
19 the loads at the times of the peaks. And we have the  
20 average demand at the time of the peaks in 1984, let's say,  
21 for a given class of service. We adjust that one particular  
22 number by the ratio of annual sales for the test year ending  
23 June of 1986 to the 1984 annual sales.

24 Q Is this ratio applied before or after line loss  
25 adjustments?

1           A. The way we do it is we apply it to the meters  
2 number and then we increase the value by the same ratio  
3 of losses that we developed in 1984.

4           Q. What is the method used to allocate production  
5 and transmission facilities?

6           A. Well, we use the average of the demands at the  
7 time of the peak in each of the four summer months. I might  
8 add that that, I believe, is relatively fully explained in  
9 my Exhibit WFS-1 and I believe also in my testimony.

10          Q. Just to clarify our discussion, Mr. Sundermeir,  
11 what rate schedules use load survey data?

12          A. Rate RH, Rate R and Rate GS -- I'm sorry. And  
13 Rate OP.

14          Q. Briefly, Mr. Sundermeir, how is this data  
15 developed?

16          A. You're talking about how do we obtain the data  
17 from the field, or how do we take the data that we have  
18 obtained from the field and develop the load data?

19          Q. The latter.

20          A. The latter?

21          Q. Yes.

22          A. For example -- maybe that's the best way to do  
23 it -- let's refer to Rate R. We get load survey data for  
24 six strata, and it's obtained from a prior year. We then  
25 adjust that in accordance with the number of customers that

1 we have in the current period in each of the strata. We  
2 also adjust it to reflect the weather conditions that exist  
3 in the current period, and we do that by taking the difference  
4 between hot and cool periods in the summertime, assuming  
5 that that is air cooling load, and adjust that difference  
6 to reflect the actual weather conditions on the day for  
7 which we are trying to develop the load.

8 We do a similar type analysis for Rate GS. There is  
9 no weather adjustment for Rate OP. We make a similar  
10 adjustment for Rate RH.

11 Q. Mr. Sundermeir, did you say that the data was  
12 obtained on a one half-hour basis for a summer average hot  
13 period and the summer average cool period, approximately  
14 close to the actual monthly system peak day?

15 A. No. When the load survey is done -- and what I  
16 mean by that, the meters are put in out in the field --  
17 and the data is obtained, after the fact we go back and  
18 look at selected hot weeks and selected cool weeks in that  
19 year in which the data was obtained. Now, this is after the  
20 fact.

21 Now, let's say for example that we obtain that data  
22 in 1982 and we want to develop data for 1984. We adjust the  
23 data that we obtained in 1982 to reflect the current  
24 distribution of customers by strata and the current weather  
25 conditions.

1 Q Is this the process used, then, to simulate 1984  
2 four CP day load profile?

3 A Well, it's used to develop the residential and  
4 small commercial and industrial loads for that period in  
5 1984, yes.

6 Q How do you get 1986 four CP data for these load  
7 survey schedules?

8 A Well, once we develop the data for 1984, as I  
9 indicated earlier, we then adjust that in accordance with the  
10 1986 sales versus 1984 sales, making the assumption that the  
11 relationship between annual energy use and demand is  
12 consistent between the two years.

13 Q What adjustment do you make for the weather in  
14 1986?

15 A We don't make any adjustment for weather in  
16 1986. We assume that the relationship between demand and  
17 energy is constant between the two years.

18 Q Are the total requested revenues and projected  
19 expenses contained in the cost of service study, WFS-1?

20 A Yes.

21 Q How is the proposed phase-in accounted for in the  
22 cost of service study?

23 A It is not. The cost of service study includes  
24 the total revenue by class of service as requested by the  
25 company.

1 Q Now, referring to the average and excess cost of  
2 service study, did you perform any additional cost of service  
3 study using a different methodology for the allocation of  
4 production and transmission facilities?

5 A No.

6 Q What is the excess based upon?

7 A Non-coincident class peaks.

8 Q Is it the single annual non-coincident peak or  
9 the average of some non-coincident peak?

10 A The single class peak.

11 Q How are these determined, for example, for Rates  
12 PD and HT?

13 A We develop loads for all classes of service on  
14 the day of the four system peaks in the four summer months.  
15 We then look over those data and determine what the maximum  
16 demand is for each class on those four days. In the case of  
17 HT and PD we also have developed some data in our most recent  
18 PURPA filing that was made about two years ago relating the  
19 class maximum demand to the maximum demand on the day of the  
20 peak. We, as a result, used what I would call a small  
21 adjustment to the data that was developed on the days of the  
22 peaks.

23 Q What about the RH? When did its non-coincident  
24 peak demand occur?

25 A The RH peak would occur on a cold winter day. So

1 in developing our data for that we actually look at several  
2 cold days in the beginning of the year and several cold  
3 days in the end of the year, develop the loads for RH on  
4 those days and then select the highest demand that we so  
5 determine.

6 Q Is the non-coincident peak demand more or less  
7 sensitive to weather effects?

8 A Well, I think that depends on the class of service  
9 you're talking about. The residential class, I would say,  
10 would be more sensitive to weather effects than other classes.

11 Q Mr. Sundermeir, I would now like to refer you to  
12 your response to Interrogatory IR-GSA-1-20, in which you were  
13 requested to provide all workpapers supporting the average and  
14 excess method of cost allocation, including the derivation of  
15 all factors.

16 A Yes.

17 Q Is it in this schedule that we can find the  
18 NCP demand at the generation level?

19 A Yes.

20 Q Where can we find energy consumption at the  
21 generation level?

22 A Well, the first line shows the non-coincident  
23 class peaks. The second line shows the average demands,  
24 which is the energy part of the allocation in that average  
25 demands are merely the energy divided by a constant. What

1 we show on here is not kilowatt hours, though. We show  
2 kilowatts.

3 MS. PITTS: Before we go any further with this  
4 questioning I would like to have that exhibit that's being  
5 referred to, the answer to IR-GSA-1-20, marked for identifi-  
6 cation as GSA Cross-Examination Exhibit No. 8.

7 JUDGE MATUSCHAK: Very well.

8 (Whereupon, the document was  
9 marked as GSA Cross-Examination  
Exhibit No. 8 for identification.)

10 BY MS. PITTS:

11 Q. Mr. Sundermeir, how is the NCP demand by rate  
12 schedule utilized in GSA-20 accumulated?

13 A. I'm sorry. Would you repeat that question again?

14 Q. How is the NCP demand by rate schedule utilized in  
15 GSA-20 accumulated?

16 A. Well, the annual non-coincident class peak is  
17 determined for each class of service and then the total of  
18 that value is the total of the non-coincident class peaks.

19 Q. Isn't this a total of the monthly NCP by rate  
20 classes?

21 A. No.

22 Q. What is it?

23 A. It's the total of the annual class peak.

24 Q. Mr. Sundermeir, I would like now to refer you to  
25 your response to IR-GSA-1-17.

1 MS. PITTS: Your Honor, I would like to have this  
2 marked as GSA Cross-Examination Exhibit No. 9.

3 JUDGE MATUSCHAK: Very well.

4 (Whereupon, the document was  
5 marked as GSA Cross-Examination  
6 Exhibit No. 9 for identification.)

7 BY MS. PITTS:

8 Q Mr. Sundermeir, the question posed to you was,  
9 "Please provide the monthly non-coincidental peak of each rate  
10 class for the most recent 12 month period."

11 And what was your answer?

12 A We said that was not available. For cost alloca-  
13 tion purposes we do not use the monthly non-coincident class  
14 peak. We use the annual non-coincident class peak.

15 Q Mr. Sundermeir, I would like to refer you now to  
16 Section 6 of WFS-1, the cost of service study.

17 A Yes.

18 Q Now, this is page 39. Would you please explain --  
19 it is titled "High Tension Class of Service, Total Annual  
20 Unit Cost to Serve Based on 12 Months Ended June 30, 1986."  
21 Would you please explain exactly what is contained in this  
22 section?

23 A Yes. This is a summary of the data as taken from  
24 the cost allocation to classify the cost components to serve  
25 Rate HT into whether they are demand related costs, energy  
related costs or customer related costs.

1 Q What is this then used for?

2 A Well, this would then develop our unit costs to  
3 serve, which is shown on the line just above the horizontal  
4 line at the center of the page. And those units costs are  
5 then used to develop the cost curves.

6 Once we develop the cost curves we then use the cost  
7 curves to develop the pricing for Rate HT.

8 Q The tariff charges developed by Mr. Williams?

9 A Yes, the energy pricing and the -- as I explained  
10 earlier -- the energy pricing and the customer charge are  
11 developed directly from this unit cost study.

12 Q What method, for example, is used to develop  
13 tariff charges for Rates PD and HT?

14 A Well, for example, using the unit cost, we develop  
15 a cost curve and as you probably know there are three energy  
16 price blocks in Rate HT and PD: zero to 150 hours use,  
17 150 to 300 hours use, and over 300 hours use. From the cost  
18 curve we can develop the slope of the cost curve between those  
19 values, and that is the way we determine the energy pricing  
20 by blocks.

21 As I indicated, the customer charge is directly  
22 related to the customer cost. At that point we can determine  
23 how much revenue we will collect from those charges, the  
24 energy charges and the customer charge. The remainder is  
25 recovered from the demand charge and that remainder is

1 determined by dividing that remainder by the number of  
2 demand billing units.

3 Q. Is what you've been describing, Mr. Sundermeir,  
4 generally known as the Bary Curve analysis?

5 A. Well, the Bary Curve is used for the demand  
6 related costs only. The total cost curve is the sum of,  
7 actually, three curves: the customer curve, the energy  
8 curve and the demand curve. The demand curve is developed  
9 using the Bary Curve.

10 Q. In developing the Bary Curve analysis related to  
11 demand does PECO follow the general guidelines as outlined by  
12 Mr. Bary in his book Operational Economics of Electric Utilities?

13 A. I'm not quite sure I follow the question. We use  
14 the Bary Curve as developed in accordance with the way that  
15 it was developed by Mr. Bary.

16 Q. Now, I'd like to refer you to Section 7 of the  
17 cost study, WFS-1.

18 A. Yes.

19 Q. How were the cost curves in this section developed?

20 A. The cost curves were developed by -- from the unit  
21 costs that we have previously looked at, and as I indicated,  
22 developing a cost curve for each of the cost components and  
23 adding them together, and that is the resulting cost curve.

24 The customer cost curve is not a function of load  
25 factor. Therefore, it is actually a horizontal line. The

1 energy cost curve is a function of energy cost and increases  
2 linearly with the amount of energy used. And the demand  
3 cost curve is developed in accordance with the relationship  
4 between coincidence factor and load factor as developed by  
5 Mr. Bary. And the cost curve that is presented is actually  
6 the sum of those three cost curves.

7 Q The cost curves were at the system rate of return?

8 A Yes, they are.

9 Q And the Bary Curve analysis and unit costs are  
10 at the class rate of return?

11 A When we were developing --

12 Q The revenue curves we are talking about.

13 A When we are developing the actual rate we use  
14 the rate of return of the class.

15 Q Referring to page 6-A, what is the rate of return  
16 associated with the proposed Rate PD revenue curves?

17 A Well, the actual return for Rate PD under our  
18 proposed rate is 12.4 percent.

19 Q Mr. Sundermeir, I would like now to discuss voltage  
20 credits, and I would like to refer you to exhibit -- to the  
21 company's response to IR-PAIEUG-1-40.

22 A Yes.

23 MS. PITTS: Your Honor, I would like to have this  
24 marked as GSA Cross-Examination Exhibit No. 10, the company's  
25 response to PAIEUG-1-40.

1 JUDGE MATUSCHAK: So marked.

2 (Whereupon, the document was  
3 marked as GSA Cross-Examination  
4 Exhibit No. 10 for identification

5 BY MS. PITTS:

6 Q. In the question you were asked, Mr. Sundermeir,  
7 were you not, to update the study used in the last rate  
8 case to determine the voltage credits in Rate HT?

9 A. Yes.

10 Q. Does the data contained in column one of the  
11 response indicate the installation costs for the same type  
12 of equipment at the higher voltage levels of 33 KV, 66  
13 KV and 132 KV?

14 A. Yes.

15 Q. Column two data is, then, the installation costs  
16 for equivalent sized equipment at 13.2 KV?

17 A. Yes.

18 Q. And does the data in column one represent a  
19 customer's investment in higher voltage service?

20 A. Yes.

21 Q. What items are included in installation costs?

22 A. Well, this was an analysis that was done by our  
23 electrical engineering people and they would have looked at --  
24 I can't say that I can tell all of them -- but were required,  
25 switches, transformers, equipment such as that in nature. It  
varies with the size of the customer.

1 Q Are labor costs included?

2 A Yes.

3 Q Are peak demand losses considered in this  
4 analysis?

5 A No. It's really the cost to the customer at his  
6 location.

7 Q Are annual KWH losses considered in this analysis?

8 A No.

9 Q Are the core and/or copper losses associated with  
10 transformers taken into account?

11 A No. This is only looking at it from the  
12 customer's standpoint, the additional money that the customer  
13 has to spend to receive service at a higher voltage than  
14 13.2 KV.

15 Q Isn't it true, Mr. Sundermeir, that on a per unit  
16 basis losses are significantly less at the higher voltages  
17 than at 13.2 KV?

18 A I'm not sure that I understand what the connection  
19 is there. The customer is receiving service at a certain  
20 voltage. He's looking at that voltage at his location.  
21 The losses to get that energy to him at that location really  
22 don't influence these figures.

23 Q Referring to Section 9 of the cost of service  
24 study.

25 A Yes.

1 Q. Can you please tell me what the peak demand losses  
2 are at 33 KV, 66 KV and 132 KV?

3 A. You wanted it for 33 KV, did you say?

4 Q. Yes, 33, 66 and 132.

5 A. It's not broken down into 66 and 132. Perhaps the  
6 figures that you're looking at are at the top of page 77.

7 Q. That's the whole PECO system, is it not, on page  
8 77?

9 A. By group, by component group.

10 Q. What does that mean, though?

11 A. Well, this was an estimate made of the peak losses.  
12 Now, if we are tying this in with the losses that we calculated  
13 in our load study, we have programmed into our load study  
14 program the formula that is shown in Section C of this  
15 study, and that formula is what we use to calculate the losses  
16 at the various voltage levels.

17 Q. Could you please tell me, then, what those  
18 annual KWH losses are at these three levels: 33 KV, 66 KV  
19 and 132 KV?

20 A. Annual losses?

21 Q. Right, annual -- for the customers in each  
22 category.

23 A. The annual losses are shown on the bottom of page  
24 72.

25 Q. Mr. Sundermeir, I still don't see a figure for the

1 HT customers where it's split up by voltage of 33, 66 and 132.

2 A. It's not. It's not. It's grouped. If you look  
3 at the bottom of page 172 you will see the high tension  
4 losses are grouped together. This is high tension being  
5 13.2 KV and above.

6 Q. Mr. Sundermeir, what is the definition of a loss  
7 factor?

8 A. A loss factor is the percentage of the losses  
9 to the total of the energy used.

10 Q. How does the loss factor vary as a function of  
11 voltage level of service?

12 A. Due to both fixed losses such as core losses in  
13 transformers, and also variable losses that are relative to  
14 the current carried at the various voltage levels, you would  
15 have different losses at the various voltage levels. And  
16 also, it depends on the actual physical configuration of your  
17 system.

18 Q. Well, what peak demand loss factor was assigned  
19 to the 33 KV, 66 KV and 132 KV customers in the cost of service  
20 study?

21 A. All of those customers are included in the high  
22 tension class, and the half-hour by half-hour losses are  
23 calculated using the formula under high tension loss factor  
24 that is shown on page 67.

25 A. Mr. Sundermeir, what annual energy loss factor

1 was assigned to the 33 KV, 66 KV and 132 KV customers?

2 A. Annual loss factor?

3 Q. Annual energy loss factor, yes.

4 A. That's on the bottom of page 72.

5 Q. But, again, this amount is not broken out, is it?

6 A. No. They are lumped together. It's high tension.

7 All high tension losses are grouped together.

8 Q. Are these three categories of customers, then,  
9 the 33 KV, 66 KV and 132 KV, all treated the same?

10 A. They are all -- we have customers that are served  
11 at high tension voltage and that includes any voltage from  
12 13 KV and above, and they are listed under high tension.  
13 The primary customer are those served at 4 KV. And the  
14 secondary customers are those served at secondary voltages.

15 Q. Are the three categories of customers that I just  
16 mentioned, the 33, 66 and 132 KV, averaged in with the 13?

17 A. Yes.

18 Q. Do these customers use the 13.2 distribution system?

19 A. Do all of the customer use the 13.2 distribution  
20 system? No.

21 Q. Well, do the ones that we were concerned about,  
22 the 33, 66 and 132, use the 13.2 distribution system?

23 A. No.

24 Q. Were they assigned costs associated with this  
25 system?

1 A For our cost purposes all high tension customers  
2 are grouped together.

3 Q I'd now like to refer to Section 9, page 70,  
4 of your cost of service study.

5 A Yes.

6 Q What are the KWH losses of Rate HT at 13 KW  
7 as a percent of total Rate HT losses for high tension --  
8 as shown in Table 2?

9 A Could you repeat that question, or have it read  
10 back?

11 MS. PITTS: Could I please have the reporter read  
12 back the question?

13 (Whereupon, the reporter read from the record as  
14 requested.)

15 BY MS. PITTS:

16 Q That is supposed to be KV, not KW.

17 Do you accept that the amount is approximately  
18 20 percent?

19 (Pause.)

20 It's the percent of 98.45 million to the total?

21 A Yes.

22 Q Mr. Sundermeir, can you indicate for the record  
23 where we can find the percentage of KW losses of Rate HT  
24 at 13 KV as a percent of total HT losses?

25 A I thought that was the number we just calculated.

1 Q I'm sorry. KWH. We just did KWH. Now we need  
2 to do KW.

3 A To the best of my knowledge there is no breakdown.

4 Q Mr. Sundermeir, would you be able to supply that  
5 figure for us?

6 A Well, I'm going to have to answer that that I  
7 don't know. This particular analysis that we are looking  
8 at was actually done by our systems planning department and  
9 we use the results of it. So what information that they can  
10 provide, I don't know.

11 Q Could you please provide us whatever information  
12 on point the company has?

13 A We will do the best we can.

14 Q Thank you.

15 Could you please tell me what the voltage levels of  
16 service are for Amtrak and SEPTA?

17 A Amtrak, I believe, is 13.2 KV, and a portion of  
18 SEPTA is 13.2 KV and a portion is 33 KV.

19 Q What loss factors, peak demand and annual KWH,  
20 were assigned to these customers in the cost of service study?

21 A I believe subject to check we used the same losses  
22 that we used for the high tension class.

23 MS. PITTS: Thank you, Mr. Sundermeir. I have no  
24 further questions.

25 Your Honor, at this time I would like to move into

1 evidence GSA Trial Exhibits 7, 8, 9 and 10.

2 MR. MacGREGOR: No objection.

3 JUDGE MATUSCHAK: There being no objection, GSA  
4 Exhibits 7, 8, 9 and 10 are admitted into evidence.

5 (Whereupon, the documents marked  
6 as GSA Cross-Examination Exhibits  
7 Nos. 7 through 10 were received  
8 in evidence.)

9 JUDGE MATUSCHAK: Let's take a ten minute recess.

10 (Recess.)

11 JUDGE MATUSCHAK: Who wants to proceed next?

12 MR. O'DONNELL: Your Honor, I would be glad to  
13 proceed.

14 Before the cross-examination there is one preliminary  
15 matter I wish to raise, Your Honor. On September 23rd  
16 Occidental Chemical Corporation sent to the company a series  
17 of requests for information. We received the first responses  
18 on Friday; a second group of responses arrived Saturday.

19 We have three problems with the responses so far,  
20 which we have discussed with the company already both on  
21 Friday and today.

22 The first problem is that many of the requests for  
23 information have not been answered at all. Secondly, a number  
24 of the responses are incomplete, some of which pertain to  
25 Mr. Sundermeir's testimony. And the third problem is that  
many of the responses -- four of the responses direct us to

1 review company records which having only received on  
2 Saturday those responses, we haven't been able to review.

3 We have talked with the company and asked them to  
4 make those materials available tomorrow if possible, and  
5 also inquired as to when the other questions would be  
6 answered.

7 At this point, Your Honor, we are still trying to  
8 work with the company on that, and I simply want to indicate  
9 that we would request the right to reserve our opportunity  
10 to cross-examine further witnesses of the company, including  
11 Mr. Sundermeir, depending on the information which we  
12 ultimately receive, and also request that the company advise  
13 us by the close of business today when the other questions  
14 will be answered and whether the information in their records  
15 will be available tomorrow.

16 JUDGE MATUSCHAK: Well, we expect Counsel to cooperate  
17 in these matters and not to approach the Bench on these  
18 matters except as a last resort.

19 We will not preclude you if you haven't gotten some  
20 information. We will not preclude you from further cross-  
21 examination so long as we are here on this matter.

22 MR. MacGREGOR: Your Honor, I would just note for the  
23 record that the interrogatory responses are not due yet.  
24 What the company endeavored to do was to answer all of the  
25 questions that related to Mr. Sundermeir's and Mr. William's

1 testimony and try to get those in Mr. O'Donnell's hands  
2 as soon as possible.

3 JUDGE MATUSCHAK: You try to work that out.

4 MR. O'DONNELL: I would just note that the answers are  
5 due tomorrow and I understand they won't be provided, but  
6 we will work with the company to try to get timely answers.

7 JUDGE MATUSCHAK: Don't overburden the ALJ.

8 MR. O'DONNELL: Yes, Your Honor. That is a fine a  
9 rule of thumb and we will try to adhere to it.

10 CROSS-EXAMINATION

11 BY MR. O'DONNELL:

12 Q. Good morning, Mr. Sundermeir.

13 A. Good morning.

14 Q. My name is Earl O'Donnell and I am Counsel for  
15 Occidental Chemical Corporation.

16 Mr. Sundermeir, my questions are going to relate to  
17 the Auxiliary Service Rider together with the Night Service  
18 Rider for HT customers and the HT tariff itself. I also will  
19 ask you some questions pertaining to the data responses that  
20 we have received to date.

21 Do you have in your possession copies of those  
22 tariffs as well as the data responses?

23 A. Yes.

24 Q. I wonder if I could ask you to turn to the  
25 Auxiliary Service Rider. I would like to begin by asking

1 some questions regarding the availability of that service  
2 rider together with some of the terms and conditions.

3 A. Yes.

4 Q. So you have that in front of you, sir?

5 A. I have in front of me the existing Auxiliary  
6 Service Rider. Is that what you're referring to?

7 Q. Yes, sir.

8 A. Yes.

9 Q. Let's begin by trying to define the type of  
10 service that's being rendered here. Am I correct that this  
11 is available to customers who generate their own power and  
12 require on occasions either additional back-up or maintenance  
13 power from the company?

14 A. Yes.

15 Q. This, then, is a -- although the customer  
16 generates his own power, this is a retail service provided  
17 by the company?

18 A. Yes.

19 Q. I note in the applicability section that the  
20 reference is to service to customers, including qualified  
21 small power production or co-generation facilities, qualifying  
22 facilities. Does this provision also apply to facilities  
23 that are not qualifying facilities under PURPA?

24 Do you know what I mean by "PURPA"?

25 A. Yes.

1 It applies to, actually, all customers who operate  
2 parallel to the company.

3 Q The customer need not, then, be a qualifying  
4 facility for purposes of PURPA in order to obtain service?

5 A. No.

6 Q The key criteria, then, is that the customer  
7 must be operating in parallel with the company?

8 A. Yes. As it says in the applicability statement,  
9 where the company supply can be substituted for that of the  
10 customer.

11 Q Would the service be available to a customer which  
12 purchases power from a co-generation unit owned by another  
13 entity? For instance, a customer who has a co-generation  
14 facility located at its industrial plant but the facility  
15 technically is owned by a third party?

16 A. No. These services are applicable to the  
17 customer and in that case I think you're describing the  
18 customer would be the owner of the generation facility.

19 Q So in a situation in which a hospital, for  
20 instance, has a co-generation facility on its site, the  
21 co-generation facility is owned by a third party, the  
22 hospital purchases power from the co-generation facility.  
23 Would that hospital, the customer in that sentence, be  
24 entitled to purchase power under the Auxiliary Service Rider  
25 when the co-generation facility is out of service for

1 A. The owner of the co-generation facility would be  
2 entitled to the utility service. The owner of the co-genera-  
3 tion facility.

4 JUDGE MATUSCHAK: And he could make arrangements with  
5 the hospital for the benefits of that?

6 THE WITNESS: We will supply auxiliary service to the  
7 owner of the co-generation facility.

8 BY MR. O'DONNELL:

9 Q. But not to the hospital?

10 A. No.

11 Q. In instances in which the co-generation facility  
12 is not operating, the hospital, obviously, would continue to  
13 require power to operate. What sort of schedule would be  
14 available to them?

15 A. What the hospital could do is divide its load  
16 between the load provided by the co-generator and the service  
17 provided by the company. And obviously the company would  
18 support its share of the load with all of the reliability  
19 as it does any other customer.

20 Q. Let's assume that the co-generation unit is  
21 1,500 KW and the load is 3,000 KW.

22 A. Yes.

23 Q. The customer then would be entitled, as I understood  
24 your last sentence, to purchase 1,500 KW from PECO? Is that  
25 correct?

1           A. The customer could contract with the company to  
2 provide the total load.

3           Q. How so?

4           A. Well, through the regular rate schedule, like  
5 Rate HT. When I say "contract", for the company to supply  
6 the full 3,000 kilowatts, and we would have a contract to  
7 provide that total firm load and all the applicable minimums  
8 in the rate would also apply.

9           Q. So the hospital, in order to have, under those  
10 circumstances, back-up or maintenance service would have to  
11 incur the full ratchet provisions of the HT service?

12          A. Contract minimums, yes.

13          Q. There would be no daily pro ration provisions  
14 available to the hospital?

15          A. No.

16          Q. In effect, it would be purchasing power from  
17 PECO as if it were a full requirements customer?

18          A. That's correct.

19          Q. Even though the co-generation facility was  
20 meeting its requirements under ordinary circumstances?

21          A. And I think the policy is consistent with the  
22 recent ALCON decision.

23          Q. Well, putting that aside, is your answer to my  
24 question yes?

25          A. Yes.

1 Q Let me direct your attention to the control of  
2 supply section in the Auxiliary Service Rider. Do you see  
3 that, sir?

4 A Yes.

5 Q Am I correct that this section permits the company,  
6 PECO, to require that a qualifying facility install load  
7 limiting devices at the qualifying facility's expense?

8 A It says that the company may require that.

9 Q And my question was whether it permitted the  
10 company to require it. I take it the answer is yes?

11 A Yes.

12 Q I wonder if you would refer to the Rate HT  
13 schedule and indicate to me whether the company reserves a  
14 similar right under that schedule, that is, to require a  
15 customer to install circuit breakers or fuses?

16 A It's really not required for a full service customer  
17 because we would have a contract to provide that full service.  
18 If it's an Auxiliary Service Rider customer we would have a  
19 contract to supply a lower level of service and there would  
20 be nothing to stop the customer from using a higher demand  
21 than what he had contracted for. So in the case of a  
22 co-generator who has some of his own generation, we might  
23 have to put demand limiting devices in to ensure that the  
24 customer doesn't exceed his contract demand, which he could  
25 easily do.

1 Q Under the HT rate schedule is there a contract  
demand fixed by contract?

2 A Yes, there is, a maximum contract demand.

3 Q What happens if the customer exceeds that  
4 contract demand?

5 A Well, I think from a practical standpoint our  
6 people who would be on top of that, our business service  
7 people, would go out and talk to them about that and perhaps  
8 as a result of that might indicate that a new contract should  
9 be drawn up, as long as we could supply the higher demand.  
10

11 Q Why isn't that approach equally available in the  
12 case of the auxiliary service customer?

13 A Well, the auxiliary service customer has contracted  
14 for a certain demand and part of his total demand is provided  
15 by his own generation. Now, if he decided that he wanted a  
16 higher demand supplied by the company, I think the same  
17 arrangement could be made with the co-generator.

18 Q I would also like to ask you to turn to the  
19 parallel operations provision of the Auxiliary Service Rider,  
20 which states that the customer shall not, quote, at any  
21 instant, unquote, operate any other source of power in  
22 parallel with the company's service until written permission  
23 is given by the company for such parallel operation.

24 A Yes.

25 Q Am I correct that this section would require a

1 qualifying facility to obtain written permission from the  
2 company for the initial interconnection and parallel  
3 operation of its facility?

4 A. That's correct.

5 Q. Would the section require a qualifying facility  
6 to obtain written permission from the company to resume  
7 parallel operation after, say, a maintenance outage?

8 A. I would say no, unless the maintenance outage  
9 happened to be for some very, very extended period of time.

10 Q. Could you explain to me what you mean by an  
11 "extended period of time"?

12 A. Well, I don't have any specific period of time  
13 but the company wants to know where and at what locations  
14 facilities are operating in parallel with them. Now, I  
15 suppose if we got into a situation where somebody had an  
16 extended outage over a few years, we would certainly want to  
17 know when they were going to go back and start operating in  
18 parallel with us.

19 But if you're talking about a weekend outage, or a  
20 week, or two or three, why, that would not be necessary, no.

21 Q. Would your answer be the same, that is, that  
22 written permission wouldn't be needed, in the case of back-up  
23 power where the outage is a few weeks or a month or something  
24 of that kind?

25 A. You've got to understand that part of the reason

1 for that written is that there are a lot of considerations  
2 involved. One of them is safety. If we have somebody that  
3 is generating, in effect, in our system we would have to know  
4 that such generation is there.

5 Q. But surely that can be accomplished by communica-  
6 tions, oral in nature, between the company and the qualifying  
7 facility without written notice? I said "surely". Would you  
8 agree with that?

9 A. Well, I can think of instances where customers  
10 have operated in parallel with the company and the company  
11 didn't know it. And I think, as in many other cases, when it's  
12 in writing then it's known and you have something that you can  
13 pull out and look at and say, yes, the company knows and is  
14 well aware of it.

15 Q. To your knowledge, have instances in which the  
16 company has discovered by parallel operations, have those  
17 resulted in any safety problems on your system?

18 A. Not that I'm aware of, but that doesn't mean that  
19 they can't. And it also doesn't mean that those problems, if  
20 they do exist -- they can be very, very serious.

21 Q. Let's assume that we have a co-generation unit  
22 that went down briefly, three, four hours, and back-up power  
23 is called on by the company in order to maintain its operations,  
24 for the customer to maintain its operations. Would the company  
25 require that written notice be received by the co-generator

1 before that co-generator could resume operation of its  
2 facility, co-generation facility?

3 A. No.

4 Q Now, you have indicated that you would like to --  
5 under some circumstances it would be helpful to the company  
6 to know when a customer is resuming parallel operation. You  
7 have also indicated that those things can be more clearly  
8 dealt with if something in writing exists.

9 A. Well, the main thing here is for the initial  
10 permission when at first the co-generation facility or small  
11 power producer is first going to operate in parallel with us.  
12 There are a number of other things that are involved. We  
13 want to get written permission. We want to be sure that all  
14 of the company's interconnection requirements are satisfied.  
15 And once they are satisfied, other than perhaps some periodic  
16 inspection of the installation, why, I don't think it's  
17 necessary every time the customer unit goes down that he get  
18 written permission from the company to resume the service.

19 Q I guess the problem I'm having is that it's not  
20 clear to me how a qualifying facility would know whether  
21 written notice is required. Is there some policy or some  
22 written document which would explain how this provision would  
23 be applied by PECO?

24 A. Well, generally when there is a co-generation  
25 or small power production facility contemplated, in general,

1 they would contact the company.

2 Q I'm not talking about initial operation. I'm  
3 talking about the situation where the unit goes down for  
4 some period of time.

5 A Yes.

6 Q It's repaired, the co-generator obviously wants  
7 to have the unit in operation as promptly as possible. My  
8 question is in that type of circumstance is there some  
9 written document which would explain when notice is required  
10 or approval from the company is required?

11 JUDGE MATUSCHAK: Can't they contact the company and  
12 see whether the company is going to require a written  
13 contract? It seems to me that the answer to that is very  
14 simple. All they would have to do is call the company and  
15 ask them whether they need a written contract.

16 THE WITNESS: I think in most cases that contacting  
17 our load dispatcher, so that we have some knowledge -- and  
18 in this case we are talking about oral.

19 The thing that you're referring to in the tariff  
20 requiring this written permission is primarily for the  
21 initial operation of the facility.

22 JUDGE MATUSCHAK: Well, I think that is probably  
23 resolved very easily if you call the company and ask them  
24 whether they can proceed or whether they need another written  
25 contract. I mean, it seems to me that if they are not sure

1 all they have to do is call the company and say we want to  
2 proceed again, now do we need another written contract.

3 THE WITNESS: No.

4 JUDGE MATUSCHAK: I don't see any problem there.

5 BY MR. O'DONNELL:

6 Q I'm not sure I understood what you're saying  
7 "no" to.

8 A I'm saying no to the fact that you would not  
9 normally -- I can't think of too many circumstances where  
10 you would normally need another written permission from the  
11 company to do that. I think that it would be a good idea, in  
12 some cases, if our load dispatcher were notified that they  
13 were coming back on line.

14 Our initial concern is, number one, we don't want  
15 people operating in parallel with us without our knowledge.  
16 It has happened and we don't want that to happen.

17 The other thing that we are concerned about is that  
18 the interconnection with the company's facilities is in  
19 accordance with the company's standards for that interconnection  
20 We would therefore make sure that those interconnection  
21 facilities are acceptable before the written permission would  
22 be given.

23 Q Let me direct your attention to the type of supply  
24 section of the Auxiliary Service Rider. First, when is back-  
25 up power available to the customer on the PECO system under

1 the rider?

2 A. It's available on demand.

3 Q. Whenever there's an unscheduled outage at the  
4 qualified facility?

5 A. Yes. And I think in accordance with the definition  
6 in the Auxiliary Service Rider, it's available to replace the  
7 customer's own generating capacity whenever it may be  
8 interrupted on an unscheduled basis.

9 Q. And it's true, is it not, that PECO's generating  
10 resources are interrupted because of unscheduled equipment  
11 failures at times?

12 A. If you mean do we have forced outages on our  
13 generators?

14 Q. Yes.

15 A. The answer is yes.

16 Q. And the North American Electric Reliability  
17 Council compiles generating availability data which includes  
18 forced outages of electric utility generating resources?  
19 That's true, is it not?

20 A. I'm not familiar with that.

21 Q. Utilities typically plan to accommodate unscheduled  
22 outages of their equipment through the installation of reserve  
23 capacity; isn't that true?

24 A. Through the installation of reserve capacity or  
25 through purchases on an interchange, yes.

1 Q Do you know what PECO's current planning reserve  
2 margin is?

3 A Only approximately. Twenty-five percent.

4 Q Assuming that it's 25 percent, if PECO anticipated  
5 a 3,000 megawatt load you would install 3,000 megawatt capacity  
6 to serve the load and then an additional 750 megawatts of  
7 reserve capacity; is that correct?

8 A Yes.

9 Q I wonder if I could ask you some questions,  
10 hypothetical questions, concerning the Auxiliary Service  
11 Rider. And just for your convenience and clarity I'm going  
12 to refer to a visual aide, which hopefully will keep this  
13 from getting confused.

14 MR. O'DONNELL: I will explain this for purposes of  
15 the record, Your Honor.

16 BY MR. O'DONNELL:

17 Q The hypothetical deals with a 10,000 KW qualifying  
18 facility. We are dealing with the back-up power provisions  
19 of the Auxiliary Service Rider. The customer is served at  
20 the 33,000 voltage level, making him a Rate HT customer as  
21 well as a purchaser under the Auxiliary Service Rider.

22 Is that clear so far?

23 A Yes.

24 Q Let's assume that the customer began initial  
25 operation of the co-generation facility in June of a year,

1 after receiving written permission from the company.

2 A. Of course.

3 Q. The outage begins -- this is an unscheduled  
4 outage. The unscheduled outage begins at 5:00 p.m. on a  
5 Friday in the month of June.

6 A. All right.

7 Q. And it ends before 7:00 a.m. on Monday. So it's  
8 at most a three day outage.

9 Now, the hours between 5:00 p.m. on Friday and 7:00  
10 a.m. on Monday are off-peak, are they not?

11 A. Yes -- I'm sorry. What were the times again?

12 Q. It was 5:00 p.m. on Friday through 7:00 a.m.  
13 on a Monday.

14 A. Yes.

15 Q. Those are off-peak hours?

16 A. Yes.

17 Q. There are no other outages of the co-generation  
18 facility during the 12 month period. So the sole purchase of  
19 back-up power during that 12 month period has occurred during  
20 this period of time, Friday through Monday.

21 A. Yes.

22 Q. The metered demand during the outage was 10,000  
23 KW.

24 A. Yes.

25 Q. What would the billing demand be to that customer

1 in June?

2 A. Is the company supplying firm or interruptable  
3 back-up?

4 Q. It would be pursuant to the Auxiliary Service  
5 Rider. Perhaps you could clarify.

6 A. Under the existing Auxiliary Service Rider back-up  
7 power is supplied on a firm power basis. However, the  
8 company just within a little over a week ago filed a new  
9 Auxiliary Service Rider that provides for both firm and  
10 for interruptable back-up power.

11 Q. For the moment let's stay within the currently  
12 effective rate schedule, which you have indicated provides  
13 only for firm back-up power.

14 What would the billing demand be in the month of June  
15 for that customer?

16 A. If he had contracted to supply -- for the  
17 company to supply 10,000 kilowatts, his minimum billing  
18 demand would be 4,000 kilowatts in the -- oh, this is June.  
19 I'm sorry.

20 Q. This is June.

21 A. This is June. So his billing demand in the  
22 summer months would be the minimum billing demand required  
23 by Rate HT, which is 25 kilowatts.

24 Q. Now, he takes 10,000 during that month.

25 A. Okay. I'm going to get to that.

1 He could purchase his back-up power in the off-peak  
2 period on the Night Service Rider. And on the basis of the  
3 Night Service Rider, he would get charged the night service  
4 capacity charge, which would be the difference between his  
5 maximum off-peak demand and his billing demand.

6 In this case he would be charged his on-peak demand.  
7 If he only used it in those days and if it's only in June,  
8 he would have an on-peak billing demand of 25 kilowatts and  
9 the rest of it would be the difference between the 10,000 and  
10 the 25. He could purchase -- be billed under the provisions  
11 of the Night Service Rider.

12 Q Let me ask you to turn to the Auxiliary Service  
13 Rider, rate and billing section.

14 A Yes.

15 Q Under the heading Maintenance Power there is a  
16 sentence, the last sentence, which says qualifying facilities  
17 will be billed under the provisions of the Night Service  
18 Rider corresponding to the appropriate rate schedule.

19 A Yes.

20 Q Is there a similar sentence under back-up or  
21 supplementary power?

22 A No.

23 Q Where in this tariff is there an indication --

24 A I'm sorry. A similar sentence to that one. I'm  
25 sorry.

1 Q Yes.

2 A Yes. Back-up and supplementary. The monthly  
3 billing for back-up or supplementary would be under the  
4 provisions of the normal service rate and applicable rider.

5 Q So it's your testimony that the reference to the  
6 normal service rate and the applicable rider, even though  
7 there is no specific reference to night service as there is  
8 under the maintenance power, includes the Night Service Rider?

9 A That's correct.

10 Q Is the billing demand, then, under this factual  
11 situation 25 KW?

12 A In the four summer months.

13 Q In the four summer months.

14 A Your specific example was for the month of June.

15 Q That's right. So in June it would be 25 KW. What  
16 about the minimum contract provision, that is, that under the  
17 HT service schedule there is a 40 percent ratchet measured  
18 against the contract demand. Would that be applicable?

19 A No, it would not and I think it so states in the  
20 HT tariff. That 40 percent is only applicable during the  
21 months of October through May.

22 Q What about in the ensuing -- well, let's take --  
23 let's assume that we are talking about the period October  
24 through May. What would his billing demand be?

25 A October through May?

1 Q. Yes.

2 A. If he had no use --

3 Q. Beyond the June consumption.

4 A. Beyond June, yes. He had use in June. In the  
5 following October, he would have a minimum billing demand  
6 of 4,000 kilowatts.

7 Q. The demand charge for June, I take it, would be  
8 limited to the 25 KW?

9 A. Yes.

10 Q. Times the HT demand charge?

11 A. Yes, plus the Night Service Rider charge, which is  
12 also a demand charge.

13 Q. And that would be the 82 cents per KW?

14 A. That's correct. Plus a monthly \$10 metering charge.

15 Q. And for the ensuing -- this says the ensuing 11  
16 months. Let's assume we are talking about the eight months.

17 A. Yes.

18 Q. What would the demand charge be, 4,000 --

19 A. Four thousand kilowatts.

20 Q. Times --

21 A. His charge would be -- assuming he used nothing,  
22 let's say, in October, he would be charged for the 4,000  
23 kilowatts times the demand charge in Rate HT plus the customer  
24 charge in Rate HT plus \$10 for a meter charge for being on the  
25 Night Service Rider.

1 Q As a general matter, Mr. Sundermeir, if a  
2 customer imposes load on the PECO system during all hours  
3 of the year would you say that there is a very high  
4 probability that he contributes to the need for PECO to  
5 install capacity?

6 A. Yes.

7 Q. If the customer imposes no load whatsoever on the  
8 PECO system would you say conversely that there is a very  
9 low probability that he contributes to the need for capacity?

10 A. If he has no load he would contribute nothing.

11 Q. And a customer whose load is random and intermittent  
12 statistically has a lower probability of contributing to the  
13 need for capacity by PECO than a customer that imposes load  
14 at all times; isn't that also correct?

15 A. That's correct.

16 Q. Let me ask you, with respect to the hypothetical  
17 we have just discussed, what would the energy rate be under  
18 the current tariff?

19 A. Well, he would be billed for the amount of energy  
20 he used in accordance with the billing demand, which in your  
21 example for June would be 25 kilowatts. So he would pay the  
22 first energy block for the 150 hours use of 25 kilowatts.  
23 The next block would be 150 hours use of the 25 kilowatts,  
24 and all additional energy would be at the end block price.

25 Q. Now, since we are talking about, at most, a three

day period here --

1 A. Yes.

2 Q. Actually it's less than that. The purchases would  
3 be less than 150 hours during the course of the month?

4 A. Yes.

5 Q. Would the purchases then be, looking at your  
6 current tariff -- I'm sorry, your proposed tariff, which  
7 has a 9.64 cent per KWH --

8 A. No, I'm sorry. His purchases wouldn't be less  
9 than 150 kilowatts. They would be substantially more than  
10 150 hours use because if actual demand is 10,000 kilowatts  
11 and he's only being billed for 25 kilowatts, most of his  
12 energy would be at the end block price or rate.

13 Q. Turning back to the type of supply section of  
14 the Auxiliary Service Rider, am I correct that maintenance  
15 power is not available on a firm basis under the current  
16 Auxiliary Service Rider?

17 A. Under the current Auxiliary Service Rider that's  
18 correct.

19 Q. Under that tariff the power is interruptable  
20 at the sole discretion of the company, is it not?

21 A. Yes.

22 Q. In addition, the company retains the right, does  
23 it not, to determine when maintenance power will be available  
24 that is, it must be on a scheduled basis that is acceptable  
25

1 to the company?

2 A. That's correct.

3 Q. Can you identify any other tariff in which the  
4 company retains both the right to interrupt supply and the  
5 right to in effect schedule the usage by the customer?

6 A. Well, we can interrupt the supply under the  
7 provisions of the supplemental energy portion of the Night  
8 Service Rider and we can interrupt the supply under the  
9 provisions of the Curtailment HT Rider.

10 Q. Those are your two interruptable tariffs, are  
11 they not?

12 A. That's correct.

13 Q. The only two?

14 A. That's correct.

15 Now, under the provisions of the Auxiliary Service  
16 Rider the benefit to the customer in receiving this permission  
17 from the company is that it has stated in the tariff that  
18 we will pro rate the number of days that the customer uses  
19 the maintenance power, which is not a provision of the other  
20 interruptable tariffs.

21 Q. But just to get back to the question I asked,  
22 this is the only tariff which has both of those elements  
23 present, is it not?

24 A. Yes, and also includes the provision for pro  
25 ration.

1 Q Now, with respect to the interruption feature,  
2 there is no minimum notice period, is there, for PECO?  
3 They can interrupt without providing some minimum period  
4 under the tariff?

5 A Under the existing provisions it does not indicate  
6 a minimum notification period. However, under our  
7 Curtailment Rider and under our supplemental energy provision  
8 of the Night Service Rider there is a requirement of at least  
9 30 minutes notice. And that is also under the provisions  
10 of the proposed Auxiliary Service Rider.

11 Q But at the current time this tariff is unique  
12 in that it provides for interruption without a minimum  
13 notice period? Is that a fair statement?

14 A That's a fair statement. However, I have never  
15 ever known of anybody being interrupted with less than 30  
16 minutes notice. There is usually substantially more than  
17 that. And under our proposed Auxiliary Service Rider we  
18 do indicate the minimum requirement for notification to be  
19 consistent with our other two interruptable rates.

20 Q Are there any restrictions on the total number  
21 of hours that PECO can interrupt a maintenance customer  
22 under the Auxiliary Service Rider?

23 A No.

24 Q Are there any -- you have mentioned this new  
25 Auxiliary Service Rider which you filed. Are there any

1 restrictions on the total number of hours that PECO can  
2 interrupt in that?

3 A. No, but the interruptions are limited to those  
4 times when the company is experiencing capacity limitations  
5 only.

6 Q. The Curtailment HT Rider also is limited to  
7 capacity problems, is it not?

8 A. The Curtailment Rider, there are actually  
9 currently two criteria for interrupting customers on the  
10 Curtailment Rider. One is economy, and the other is when  
11 the company is experiencing capacity limitations. Under the  
12 Auxiliary Service Rider it's only the latter of those two  
13 that the company will interrupt a customer for.

14 Q. But under the Curtailment tariff there is also a  
15 maximum number of hours of curtailment, is there not?

16 A. That's correct.

17 Q. Turning back to the current tariff for auxiliary  
18 service customers, there is no specification of the reasons  
19 for which the company may curtail service, is there?

20 A. No. It merely indicates that it's at the sole  
21 discretion of the company.

22 Q. With respect to --

23 A. However, under the proposed Auxiliary Service  
24 Rider it is defined that it will be at such times when there  
25 are capacity limitations.

1 Q I don't want the record to be confused because  
2 we have moved back and forth between the current and the  
3 proposed. Let me summarize what I understand the situation  
4 to be with respect to the current tariff, and I would ask  
5 you for purposes of this question just to respond within the  
6 context of the current tariff.

7 A Fine.

8 Q It's my understanding that the current tariff  
9 does not provide any minimum notice period, it does not  
10 place any restrictions on the total number of hours that  
11 PECO may interrupt the service, and it does not specify  
12 any limitations on the reasons for which PECO can interrupt  
13 service under that tariff. Is that an accurate statement?

14 A That's an accurate statement as far as the  
15 tariff is concerned. Of course, we could assume that the  
16 company would have no reason to interrupt the customer  
17 unless it was suffering some sort of a capacity limitation.  
18 We are still in the business to sell kilowatt hours.

19 Q I would like to have some additional insight as  
20 to how the provisions of the Auxiliary Service Rider  
21 interact. For instance, if a qualifying facility purchased  
22 20,000 KW in back-up power -- had a contract for that amount  
23 -- and also had 20,000 KW supplementary service -- are you  
24 with me so far?

25 A The provisions of the tariff, I believe -- when

1 you're referring to supplementary service are you referring  
2 to it as defined in the Auxiliary Service Rider?

3 Q. Yes, I am.

4 A. Yes. Go ahead. I'm with you.

5 Q. Would both the back-up and the supplementary  
6 power service under those circumstances be served under the  
7 same provisions of Rate Schedule HT?

8 A. Yes.

9 Q. Let me make sure I understand. Would the back-up  
10 be under a single contract and the supplemental would be  
11 under a separate contract so that the qualifying facility  
12 would receive two separate billings for the service?

13 A. No.

14 Q. What would it be under?

15 A. It would be under Rate HT.

16 Q. A single contract?

17 A. A single contract, and he would be billed in  
18 accordance with the demand that the company sees on its  
19 demand recording devices.

20 Q. Let me make sure I understand how this would  
21 operate. Assuming that the customer served under the Rate  
22 HT -- I'm going to change the numbers a little bit, so  
23 please bear with me -- supplementary power usage is 10,000  
24 KW at a 90 percent load factor in all months of the year.  
25 The backup power usage is 10,000, and the usage occurs for

1 three hours at 100 percent load factor in June. Those  
2 takes are coincident with the 10,000 KW supplementary power  
3 demand.

4 Are you with me so far?

5 A. Yes.

6 Q. Excluding the time-of-use charges, can you tell me  
7 what the Rate HT base rate energy charge would be for -- and  
8 let's move out of the summer period into November?

9 A. You say he took this back-up in the summer?

10 Q. That's right. In June.

11 A. In June. And so in June he had a total billing  
12 demand of 20,000 kilowatts?

13 Q. That's correct.

14 A. Is that correct?

15 Q. That's correct.

16 A. And the company, by contract, is required to --  
17 is under contract to supply firm supply to this customer  
18 when he needs it?

19 Q. That's correct.

20 A. Okay. Then in the months of October through May,  
21 following that month of June, there would be a ratchet of  
22 80 percent of 20,000.

23 Q. Or 16,000?

24 A. That's correct. Which I might add is the same  
25 ratchet that would be applicable to any other customer on

1 PE Company's system that also had a demand of 20,000  
2 kilowatts in the month of June.

3 Q. What would the billing of energy be in November?

4 A. What would the billing of energy be?

5 Q. He is simply taking the supplementary power now  
6 in November, 10,000 KW at 90 percent load factor.

7 A. His billing in November would be 16,000 kilowatts.

8 Q. Energy. I'm sorry.

9 A. Well, then your energy blocks would be 150 hours  
10 usage of that in the first block, 150 hours in the second  
11 block and then the remainder in the third block.

12 Q. Would you accept, subject to check, the following  
13 calculation for the three blocks: 16,000 times 150 times  
14 .0739, which I believe is exclusive of the time-of-use rate,  
15 the energy charge, for that first block under the current  
16 tariff?

17 A. Yes.

18 Q. That equals, subject to check, \$177,360.

19 The next block would be 16,000 times 150 times .0556,  
20 which equals \$133,440.

21 The remaining power is billed at .0376, and that  
22 equals \$63,168, for a total --

23 A. I'm sorry. What was the last number?

24 Q. \$63,168.

25 For a total of \$372,968.

1 (Witness performing calculations on electronic  
2 calculator.)

3 Q For your information, that last tail block was  
4 calculated by assuming 10,000 kilowatts times 720 hours  
5 in the month times .9, which equals 6,480,000 KWH.

6 A Okay. Fine.

7 Q Is that an acceptable number?

8 A Yes.

9 Q Now, one of the things driving this calculation  
10 is that the billing demand is 20,000 times .8, for purposes  
11 of the ratchet. That has an influence on the energy rate,  
12 does it not?

13 A Yes, it does.

14 Q In effect, by combining the back-up and the  
15 supplementary power so that the billing demand -- or the  
16 demand -- is 20,000, doesn't the current rate operate so  
17 that PECO is able to bill out the supplemental power in  
18 November at a higher energy price than it would be able to  
19 do if supplemental was under a separate schedule and the  
20 demand were 10,000 under that schedule?

21 A The demand that the company is feeling in the  
22 summertime is 20,000 kilowatts and our rates are set up to  
23 recover those demand related costs, not in that one single  
24 month but over a period of a year. And that's one of the  
25 basic reasons for having the ratchet in there, so that we

1 can assure ourselves of a certain number of demand billing  
2 units to recover those summertime costs. And that is  
3 exactly the same as we do it for any other Rate HT customer.  
4 There is no discrimination against the customer just because  
5 he's buying back-up or supplemental power from the company.

6 Q In effect what you're saying is that there is no  
7 difference between someone taking under the supplemental  
8 and back-up rate and under the firm HT rate?

9 A That's correct, and I believe that in accordance  
10 with the PURPA regulations the law says that we cannot  
11 discriminate against a customer with his own generator, and  
12 we really don't in that we charge the exact same rate to that  
13 customer that we would charge to any other customer using --  
14 with those use characteristics.

15 Q Putting aside the debate that might occur on that  
16 point, you would agree, would you not, that if the demand  
17 were limited to 10,000 separately for supplemental that the  
18 energy rate in November charged to that customer would be  
19 reduced as compared to the prior example?

20 A I'm not sure I'm clear on your question. You're  
21 suggesting that we look at this customer as if he was two  
22 customers?

23 Q Two separate services.

24 A Two separate services?

25 Q One of which is firm, essentially, year-round, and

1 the other which is the company is --

2 A. Well, I'm not sure you're right on that. I'm not  
3 sure I'm clear on your supposition. But if he was looked at  
4 as two separate customers, he would still have the 80 percent  
5 ratchet applicable to the 10,000 -- I'm not sure that he  
6 wouldn't wind up paying more because he would be paying the  
7 10,000 kilowatts in November for the base load and then he  
8 would be paying 80 percent of 10,000 kilowatts for his  
9 supplemental load, and that comes up to 18,000 kilowatts.

10 Q. Assume you sell to him as if he's a supplemental  
11 service customer. He purchases kilowatts in November under  
12 that schedule. The billing demand is 10,000 under that  
13 service. His kilowatt hour purchases in November are the  
14 same figures that we have indicated before. Wouldn't a larger  
15 percentage of those kilowatts hours be billed at the tail  
16 block rate?

17 A. No. I'm not sure that that's true. Because in  
18 looking at it, if I'm understanding your supposition here,  
19 looking at it that he had 10,000 kilowatts of what you're  
20 defining as supplemental energy and he used in the month of  
21 June, he would be obligated to pay the 80 percent ratchet on  
22 that 10,000 kilowatts.

23 Q. You're talking about demand charges. I'm talking  
24 about the energy. He uses 10,000.

25 A. That's correct. But he would also be getting billed

1 if he had a separate bill for 8,000 kilowatts on the  
2 supplemental energy.

3 Q Let's just take a simple example: the billing  
4 demand for a customer is 10,000. Call that supplemental  
5 or whatever.

6 A Fine.

7 Q Energy uses during November, we have already  
8 established, is 6,480,000 KWH. That's under the prior  
9 example. That's his actual takes during the month of  
10 November.

11 A Yes.

12 Q The energy charges during that month, would they  
13 not be as follows: 10,000, times 150, times .0739?

14 A For that -- if you're just talking about a 10,000  
15 kilowatt customer, that's correct.

16 Q And 10,000 times --

17 A And he uses 10,000 kilowatts every month with a  
18 90 percent load factor. I agree.

19 Q Ten thousand, times 150, times .0556?

20 A That's correct.

21 Q And the final one would be, in this case,  
22 6,480,000 KWH minus 3,000,000, the sum of the other two?

23 A Yes.

24 Q Would you accept subject to check that once you  
25 apply those numbers that you would have a figure of 323,000,

1 roughly, which is some \$50,000 less than under the prior  
2 example?

3 A. Subject to check I would accept that. But when  
4 you say less than the prior example, now, you have assumed  
5 no charge at all for the other 10,000 kilowatts.

6 Q. For energy.

7 A. And for the kilowatts. And for the kilowatts.

8 Q. Assume that 20,000 KW back-up service is required  
9 during the summer months.

10 A. Yes.

11 Q. What would the minimum bill for the ensuing 11  
12 months be if no further back-up was taken, 16,000? Is that  
13 what we have already established?

14 A. Are you talking about a total of 20,000 kilowatts?

15 Q. Well, in any one hour.

16 A. I'm sorry.

17 Q. In any one hour.

18 A. You're saying in a summer month the customer has  
19 a 20,000 kilowatt demand?

20 Q. That's correct.

21 A. And that's his billing demand in the summer months.  
22 And then his minimum billing demand in the following eight  
23 months of October through May would be 80 percent of that  
24 number.

25 Q. Thank you.

1 With respect to maintenance power, the rate and  
2 billing section states that the maintenance power for  
3 self-generators will be billed under the provisions of the  
4 normal rate, except the charges will be pro rated and that  
5 minimum contract demands and summer month ratchets will not  
6 apply; is that correct?

7 A. That's correct.

8 Q. The first question is the section also indicates  
9 that the qualifying facilities will be billed under the  
10 provisions of the Night Service Rider corresponding to the  
11 appropriate rate schedule? That's correct too?

12 A. That's correct.

13 Q. The Night Service Rider provides, does it not,  
14 for HT customers, that Rate HT, including all its terms and  
15 guarantees is applicable to service supplied during the on-  
16 peak hours?

17 A. That's correct.

18 Q. HT includes a minimum contract demand as well as  
19 a summer month ratchet? That's also true, is it not?

20 A. In the months of October through May.

21 Q. I'm trying to understand how these two provisions  
22 work together. One seems to suggest that you would be billed  
23 under a service schedule which does have a minimum contract  
24 demand and a summer ratchet, and the other one seems to state  
25 that the charges will be pro rated and that the minimum

1 contract demand and the summer month ratchet won't apply.  
2 Can you tell me how those two pieces fit together?

3 A. I'm not sure I understand your problem with the  
4 pro ration. Maybe I can just deal with the Night Service  
5 Rider first and the regular rate.

6 Q. Fine.

7 A. What that merely says is is that the customer will  
8 be billed under the provisions of Rate HT, and in your case  
9 also the Night Service Rider. All that means is, as we would  
10 for any other customer, the customer would be billed on the  
11 basis of his maximum on-peak demand and then with the additional  
12 charge for the difference between his maximum off-peak demand  
13 and his maximum on-peak demand. That's the same as it would  
14 be for any other Rate HT customer.

15 Q. How do the minimums and the ratchets apply to the  
16 maintenance power customer?

17 A. Well, the minimums and the ratchet would apply to  
18 the contract demand and also to the billing demand.

19 Q. Notwithstanding the statement that the minimum  
20 contract demand and the summer month ratchet in the normal  
21 service rate will not be applicable?

22 A. I'm sorry. Under the maintenance power the contract  
23 demands and the ratchet demand is waived under maintenance power.

24 Q. So the reference to the Night Service Rider does  
25 not indirectly incorporate a summer month ratchet --

1 A. No.

2 Q. And a minimum contract demand?

3 A. No. No. That's not the intention. And the  
4 reason for that is that the maintenance power, under the  
5 present provisions of the Auxiliary Service Rider, it's  
6 interruptable load, that the company can interrupt at such  
7 time as it needs it.

8 Q. Let's turn now to the pro ration provision. Could  
9 you explain how that operates?

10 A. Yes. If the customer needs maintenance power  
11 and, say, for the sake of an example, that he needs maintenance  
12 power for 15 days out of the month. Then the company would  
13 pro rate the customer's bill for the 15 days. In other words,  
14 15 over 30. The billing demand would be multiplied by 15 over  
15 30 -- or I should say the maximum recorded demand would be  
16 multiplied by 15 over 30 and the customer would be billed on  
17 the basis of that demand, which would be half of his recorded  
18 demand in that example.

19 Q. Let's turn to the energy side of the equation if  
20 we could. Let's assume maintenance service is provided during  
21 the month of April. Maintenance service is scheduled and taken  
22 on a Monday, Tuesday and Wednesday, a three day period in  
23 April, during the week.

24 A. Yes.

25 Q. The applicable rate is the HT service schedule

1 with a 33,000 volt service voltage. And the service is taken  
2 at 100 percent load factor, by which I mean 10,000 KW, times  
3 three, times 24, and you have 720,000 KWH.

4 A. Yes.

5 Q. Do you understand the hypothetical?

6 A. Yes.

7 Q. Do you have any problems with it?

8 A. No. I understand.

9 Q. I take it that the maintenance service capacity  
10 charge that is pro rated under the auxiliary service schedule  
11 would be 10,000 times \$5.30 -- that's the HT billing demand --  
12 times 3 over 30?

13 A. That's correct.

14 Q. And that works out to \$5,300, subject to check?

15 A. That's the way you would calculate it. I don't  
16 know what the answer is.

17 Q. What is the maintenance service energy charge as  
18 pro rated under the Auxiliary Service Rider?

19 A. That would also be the 10,000 times the energy  
20 price, times 150, times 3 over 30.

21 Q. Would it be appropriate to express it this way,  
22 if I could, just to make sure that I understand? You would  
23 take 10,000, times 150, times the high tail block rate,  
24 .0739?

25 A. Yes.

1 Q You would take 10,000, times 150, times the  
2 second block rate?

3 A Yes.

4 Q And the remainder would be billed at the third  
5 block rate. You would then divide the total, or multiply  
6 the total, times 3 over 30 and that would be your energy  
7 rate, putting aside the time-of-use?

8 A I believe you get the same answer. The way I  
9 normally look at it is in effect what you've done is you're  
10 billing the customer for one tenth of his demand in your  
11 example. So the first price block is one tenth of his demand,  
12 times 150 hours, times the price. The second price block is the  
13 same.

14 Q The key, though, is the energy charge if pro rated  
15 as well?

16 A Yes.

17 Q Let me try one more hypothetical and I will relieve  
18 you of the duty to go forward with any further ones. Assume  
19 that you have a qualifying facility with a maximum demand of  
20 10,000, which has a contract for both back-up and maintenance  
21 service.

22 We have already dealt with the situation where back-up  
23 and supplemental are examined together. We are now looking at  
24 back-up and maintenance, which are dealt with somewhat  
25 differently under the tariff.

1           Would there be a single contract, assuming the  
2 maximum demand is 10,000 KW, for both services or would you  
3 have separate contracts for maintenance and for back-up?

4           A. It would be treated as if it were one customer,  
5 not two separate customers, one that is getting maintenance  
6 power and one that is getting back-up power.

7           Q. If the customer took 10,000 KW back-up power  
8 in June during off-peak hours -- let's make it during the  
9 peak hours -- under the rider the ensuing billing demand  
10 would be 8,000 KW during the winter eight months; is that  
11 correct?

12          A. You said that it was back-up power?

13          Q. Yes, at the peak.

14          A. Yes.

15          Q. Now, I assume that even though the contract  
16 specifies a rate of -- a contract demand of 10,000 for  
17 maintenance, that you don't pay for both billing demand  
18 of 8,000 based upon the back-up power takes during June,  
19 and 4,000, which is 40 percent of the contract demand. You  
20 don't combine those two?

21          A. No. It's not clear. When you say the 10,000,  
22 does that include both back-up and maintenance?

23          Q. Yes.

24          A. A portion of that is back-up and a portion of it  
25 is --

1 Q His maximum demand is 10,000.

2 A Yes.

3 Q If the unit is shut down for a scheduled reason  
4 or unscheduled, he can only take 10,000 KW.

5 A Okay.

6 Q He actually takes 10,000 KW in the month of June  
7 for back-up purposes.

8 A But is a portion of that interruptable maintenance  
9 power?

10 Q No.

11 A Okay.

12 Q This is an unscheduled outage.

13 A Okay. It's an unscheduled outage. You're correct,  
14 then, that his minimum billing demand in the following months  
15 of October through May would be 8,000 kilowatts.

16 Q Now, his contract demand is also 10,000.

17 A Yes.

18 Q You don't add the 40 percent to that?

19 A Oh, no. No. It's the higher of the two.

20 Q Referring to the bottom of the Auxiliary Service  
21 Rider, which is the distribution facilities section, am I  
22 correct that that provides that the customer under the  
23 Auxiliary Service Rider is required to pay any investment in  
24 distribution facilities required to provide any of the  
25 services covered under the Auxiliary Service Rider?

1           A. The customer is obligated to provide any of  
2 the interconnection expenses that are over and above the  
3 interconnection expenses that the company would normally  
4 experience in serving that customer.

5           Q. Can you refer me to any portion of the tariff  
6 which says "over and above" as you have just used that?

7           A. "Any investments in addition or changes to the  
8 company's distribution facilities required to provide back-up  
9 power, supplemental power or maintenance power will be paid  
10 by the customer before the interconnection of company and  
11 customer facilities."

12          Q. So your interpretation is that what we are dealing  
13 with here is additional equipment which is required to provide  
14 back-up, supplementary or maintenance power above and beyond  
15 what the customer already has in place for its retail load?

16          A. I don't know that it necessarily has to be in  
17 place. It could be a new customer. Any expenses that are  
18 incurred over and above what the company would normally  
19 incur to serve that customer must be paid by the customer.

20          Q. In the case of the new customer, would the company  
21 compare the cost of providing service under HT rate schedule  
22 to the cost of providing service under the Auxiliary Service  
23 Rider and merely bill the difference?

24          A. I'm not sure I follow that. Under the provisions  
25 of the Auxiliary Service Rider the customer, if he is served

1 at high tension voltage, would be billed under the provisions  
2 of the Rate HT schedule.

3 A. Let's approach it from a different perspective.  
4 An HT customer comes to you and wishes to connect to your  
5 system -- strictly HT.

6 A. Yes.

7 Q. What distribution costs would that customer incur?

8 A. Do you mean what the customer would incur or what  
9 the company would incur?

10 Q. Customer. Would he be billed under the HT  
11 service for the cost of the distribution facilities needed to  
12 attach that load?

13 A. No. He would be billed under the provisions of  
14 Rate HT if he's getting services at 13 KV and above.

15 Q. In the case of the HT customer am I correct that  
16 the cost of the distribution facilities would not be billed  
17 to him specifically? There would not be a separate bill for  
18 those facilities?

19 A. There could be.

20 Q. Can you refer me to a portion of your tariff  
21 which provides that?

22 A. I can't refer to anything in the tariff but there  
23 are certain revenue tests that are made relative to the cost  
24 and if those revenue-to-cost tests aren't satisfied the customer  
25 in some cases could be asked to make a contribution.

1 Q. First, let me ask you, if you will, to provide  
2 me with a copy of any written policy or explanation of  
3 how those costs are assessed. Could you do that?

4 A. I think if you refer to the rules and regulations,  
5 Section 7.

6 (Pause.)

7 Q. Are those provisions, the ones you referred to  
8 which are found in Section 7 of the rules and regulations,  
9 applicable to auxiliary service customers in the same way  
10 that they are applicable to HT customers?

11 A. Yes. I think it's important to know that  
12 we handle customers with auxiliary service the same way that  
13 we do any other customers. We have had customers with their  
14 own generation that we have been providing service for I  
15 don't know how many years, but for many, many years. This is  
16 nothing new.

17 Q. Just to make sure I understand, in the case of  
18 distribution facilities, if the customer because of its  
19 anticipated purchases of supplementary power, for instance,  
20 is able to meet the criteria, revenue criteria, set forth in  
21 your regulations, that customer, served only under the Auxiliary  
22 Service Rider, would not incur any distribution facilities  
23 charges; is that correct?

24 A. Could you either repeat that or have it read back?

25 Q. Sure. Let's assume we have an auxiliary service

1 customer. The company does its revenue calculation pursuant  
2 to Section 7 of the rules and regulations. It concludes  
3 that using those general standards that the customer has met  
4 the revenue requirement. That customer would not be billed  
5 for any distribution facilities charges merely because he's  
6 under the Auxiliary Service Rider?

7 A. No, that's not necessarily true because if he  
8 were not an Auxiliary Service Rider customer and he meets the  
9 revenue test there would be no additional charges to him.  
10 However, in the case of the Auxiliary Service Rider customer  
11 there could very likely be additional equipment in the way of  
12 relays, in the way of metering, that that customer would have  
13 to bear because it's over and above the cost that the company  
14 would normally incur to serve that customer.

15 Q. Are you distinguishing between interconnection costs  
16 and distribution system costs?

17 A. I'm not distinguishing. Any additional costs that  
18 are incurred by the company in order to serve that customer  
19 over and above what it would normally incur must be borne by  
20 the customer.

21 Q. The types of cost items that you just mentioned,  
22 relays and that sort of thing, are normally considered  
23 interconnection costs, are they not?

24 A. I think to clarify this, I'm talking about costs  
25 over and above. Now, if relays are required and we would

1 require relays of some kind to serve that customer, he  
2 wouldn't have to pay for those. But if we need additional  
3 relays or additional metering, which is quite likely to  
4 occur, then the customer must pay for those additional costs.

5 MR. O'DONNELL: I think that clarifies it.

6 Your Honor, I would be pleased to stop right now.

7 JUDGE MATUSCHAK: I have about five after one. We  
8 will meet back at five after two.

9 (Whereupon, at 1:05 p.m., the hearing was adjourned,  
10 to be reconvened at 2:05 p.m., this same day.)

AFTERNOON SESSION

(2:05 p.m.)

1 JUDGE MATUSCHAK: On the record.

2 MR. O'DONNELL: Yes, Your Honor.

3 Counsel for the Governor's Energy Council indicated  
4 he had a preliminary matter, Your Honor.

5 MR. CLARK: Yes, Your Honor. I would simply like to  
6 introduce myself for the record and to the parties here. My  
7 name is Roger Clark. I am an attorney with the Governor's  
8 Energy Council, and I will be working with Ms. Ferkin.

9 I earlier signed the sign-in sheet, and I will be  
10 filing a formal notice of appearance.

11 JUDGE MATUSCHAK: Very well.

12 Whereupon,

13 WILLIAM F. SUNDERMEIR

14 having previously been duly sworn, testified further as  
15 follows:

16 CROSS-EXAMINATION (Continued)

17 BY MR. O'DONNELL:

18 Q Referring back to the current Auxiliary Service  
19 Rider, and specifically the liability provisions, can you  
20 advise me under what circumstances PECO would be responsible  
21 for losses suffered by the customer, damage for instance to  
22 the customer's equipment, which were caused by PECO's action?

23 A That would be caused by PECO's action?

24 Q Yes, damage to the customer's facilities caused  
25

1 by actions of Philadelphia Electric Company.

2 A. I am afraid I really can't give an answer to  
3 that. I suppose this is to protect us against any such  
4 eventuality, no matter how it occurred.

5 Q. Is it the company's position that it is not  
6 subject to liability for damage to customer's property or  
7 employees of the customer, even in the event Philadelphia  
8 Electric Company is negligent?

9 MR. MacGREGOR: Objection, Your Honor. The question  
10 asks for a conclusion of law.

11 JUDGE MATUSCHAK: Sustained. Rephrase your question.

12 BY MR. O'DONNELL:

13 Q. Can you tell me what the purpose of the provision  
14 is insofar as damage to the property of the customer is  
15 concerned, which damage is caused by the negligence of the  
16 company?

17 A. It is difficult for me to answer that. This is a  
18 provision that I know in our latest Auxiliary Rider revision  
19 was authored by our Legal Department, and I personally was  
20 not involved in it at all.

21 I am assuming they put in such a paragraph to protect  
22 the company.

23 JUDGE MATUSCHAK: Isn't that a matter that would have  
24 to be determined by the courts?

25 MR. O'DONNELL: I was asking, Your Honor --

1 JUDGE MATUSCHAK: Isn't this liability rather than  
2 what the tariff might say or might not say?

3 MR. O'DONNELL: It may well, Your Honor, although I  
4 am simply trying to determine what the company's purpose is  
5 in having a tariff provision of this kind.

6 JUDGE MATUSCHAK: Well, so many things could arise  
7 that I think it's difficult for this witness to commit to  
8 tell me, to give up any defenses that it may have if a  
9 situation may arise. I don't think the question is fair.

10 BY MR. O'DONNELL:

11 Q. Can you tell me, Mr. Sundermeir, whether this  
12 provision is found in other PECO tariffs?

13 A. Offhand, I don't know if it is included in any  
14 other PECO tariff, but you have to understand that the  
15 reason it is in the Auxiliary Service Rider is because we  
16 have the unique situation here where a customer has the  
17 potential of generating onto the company lines.

18 And that involves some particular hazards that could  
19 occur that aren't normal with other customers who don't do  
20 that.

21 Q. Mr. Sundermeir, would you feel qualified -- and  
22 if the answer is no, please simply state that --

23 JUDGE MATUSCHAK: Keep your voice up, please.

24 MR. O'DONNELL: Sorry, Your Honor.  
25

1 BY MR. O'DONNELL:

2 Q. Do you feel qualified to express an opinion on  
3 whether the liability, customer's liability for damages to  
4 the company would exist even if the customer is not  
5 negligent?

6 MR. MacGREGOR: Objection.

7 MR. O'DONNELL: I am simply asking whether he is  
8 qualified to answer the question.

9 THE WITNESS: No.

10 BY MR. O'DONNELL:

11 Q. Mr. Sundermeir, what type of characteristics does  
12 the company consider in determining whether to establish a  
13 customer class, in defining customer classes?

14 A. Well, one of the primary characteristics is the  
15 delivery voltage, and also the character of the service, the  
16 type of service.

17 For example, street lighting would be unique from  
18 regular residential service, even though they are served at  
19 the same voltage.

20 Q. Can you be more specific as to the attributes  
21 which distinguish one class from another?

22 A. Number one is the voltage at which the service  
23 is supplied, and then, as I said, the character of the  
24 service. We do have different rates for customers served at  
25 the same voltage, particularly at the secondary level where

1 we have a wide range in the use characteristics of the  
2 customer, of the street lighting customers, of the residen-  
3 tial customers with space heating, the residential  
4 customers that accept interrupted service under Rate OP.  
5 All of those things are considered when establishing a rate.

6 Q. What do you mean by "use characteristics"?

7 A. Well, for example, a street lighting customer  
8 would have different use characteristics than say a  
9 residential customer.

10 Street lighting customers would virtually have no  
11 use during the day, and would have their load between the  
12 period from dusk to dawn.

13 Residential customer characteristics would be  
14 different. Their load would be significant during the day.  
15 Residential heating customers are different than the resi-  
16 dential customers without heating in that they consume  
17 usually a significant number of kilowatt-hours during the  
18 off-peak period.

19 Q. I gather from your answer -- correct me if I am  
20 wrong -- that the time at which the use occurs is a material  
21 factor in making decisions of this kind?

22 A. That would be a consideration, yes.

23 Q. Coincidence factor, would that be another one,  
24 coincidence with the system, for instance? Here I am think-  
25 ing of the difference between interruptible and firm.

1 A. That could be a consideration.

2 Q. Could be; is it a consideration?

3 A. As I said to you earlier, the street lighting  
4 customers certainly don't have much demand at the time of  
5 our system peaks, and that is certainly a consideration.  
6 And it is recognized when we do our cost work.

7 Q. Interruptible versus firm, that would be a  
8 consideration in distinguishing between those types of  
9 customers?

10 A. Well, I think we distinguish the interruptible  
11 from firm in the riders under which we provide interruptible  
12 service, and the provisions of those riders in the sense of  
13 things like contract minimums, ratchets.

14 Although it's still applicable under the applicable  
15 rate schedule, there are certain concessions made if the  
16 load is interruptible.

17 Q. Mr. Sundermeir, has PECO performed any study of  
18 the load characteristics of the Auxiliary Service Rider  
19 customers?

20 A. No. The Auxiliary Service Rider customers would  
21 be included under the appropriate rate schedule.

22 Q. Has PECO performed any study specifically  
23 addressing the coincidence factor of Auxiliary Service  
24 customers?

25 A. No. Again, those customers are served under a

specific rate, and they are included under that rate.

1 Q Mr. Sundermeir, do you have a copy of the  
2 responses of Philadelphia Electric Company to Occidental  
3 Chemical Corporation's request for information, IR-Chem-1-1  
4 through 1-5?

5 A Yes.

6 Q Were those responses, 1-1 through 1-5, prepared  
7 by you or under your supervision?

8 A Yes, they were.

9 Q Are they accurate and correct to the best of your  
10 knowledge, information and belief?

11 A Yes, and I think it is consistent with the  
12 answers which I just gave you to your previous questions.

13 MR. O'DONNELL: Your Honor, I wonder if I could ask  
14 that these be marked for identification. This would be our  
15 first hearing exhibit.

16 JUDGE MATUSCHAK: Very well. How do you want these  
17 marked?

18 MR. O'DONNELL: Would it be OCC Exhibit No. 1, Your  
19 Honor?

20 JUDGE MATUSCHAK: Yes. How do you want to identify  
21 this?

22 MR. O'DONNELL: Your Honor, this consists of five  
23 responses from the company, five pages. The pages are marked  
24 in the upper right hand corner as IR-Chem-1-1, IR-Chem-1-2,  
25

1 IR-Chem-1-3, IR-Chem-1-4 and IR-Chem-1-5.

2 JUDGE MATUSCHAK: They will be marked as Occidental  
3 Chemical Exhibit No. 1.

4 (Whereupon, the documents were  
5 marked Occidental Chemical  
6 Exhibit No. 1 for identifica-  
7 tion.)

8 BY MR. O'DONNELL:

9 Q With respect to IR-Chem-1-1, Mr. Sundermeir, the  
10 question asks in part for all documents which were considered  
11 or relied upon by PECO in developing the Auxiliary Service  
12 tariff, and it asks that the company identify assumptions,  
13 class load characteristics among other things.

14 The response indicates that, I gather no such  
15 documents were considered or relied upon by PECO.

16 A We did not develop separate load characteristic  
17 data as was requested in this interrogatory. What we  
18 merely do, and the crux of the Auxiliary Service Rider is  
19 that the customer will be served under the rate applicable  
20 to the service of that customer.

21 And we believe that is in conformance with the  
22 proper regulations, and apparently the Commission did too  
23 because they approved the Auxiliary Service Rider.

24 Q The question I had was whether any such documents  
25 existed showing any of these load characteristics, whether  
they were relied upon or not by the company.

1 A. As indicated in the response to that question,  
2 there are no such documents.

3 Q. That answer would also pertain to the IR-Chem-1-2  
4 through 1-5, no such documents exist?

5 A. That's correct. We do not look at the Auxiliary  
6 Service Rider customers as a separate class of service.

7 Q. Mr. Sundermeir, you mentioned on several  
8 occasions the company's proposed new Auxiliary Service Rider.

9 A. Yes.

10 Q. Is this the rider that was filed with the  
11 Commission by letter dated December 27, 1985 and signed by  
12 Mr. Austin?

13 A. Yes.

14 Q. With that filing, the company submitted both an  
15 Auxiliary Service Rider, a new Night Service HT Rider and a  
16 Curtailment HT Rider, isn't that correct?

17 A. That's correct.

18 Q. Let me try just to make sure that the record is  
19 clear on what the new rider would do if adopted by the  
20 Commission.

21 I gather from your earlier statements that the  
22 Auxiliary Service Rider would create a class of firm  
23 maintenance power?

24 A. That is correct. The new Auxiliary Service Rider  
25 gives the customer the option of either firm or interruptible

1 backup, supplemental or maintenance power, at his option.

2 Q You testified before that the maintenance power  
3 under the current tariff, maintenance power customers can  
4 opt to be served under the Night Service Rider, do you  
5 remember that?

6 A Yes.

7 Q Is that option still available for a firm  
8 maintenance customer under the new tariff?

9 A Yes, it is. If you look under the provisions of  
10 firm supply, it states that, "The Auxiliary Service will be  
11 billed under the provisions of the rate applicable to the  
12 voltage of the service supplied from the company and  
13 applicable riders."

14 Q You also mentioned that there is an interruptible  
15 or I think the tariff refers to it as curtailable supply  
16 option.

17 A Yes.

18 Q Is it possible for a customer to opt to have no  
19 firm capacity demand under this option?

20 A He can opt for no firm capacity demand, but he  
21 would be billed for the minimums on Rate HT, which is  
22 25 kilowatts.

23 Q The 25 kw under those circumstances would become  
24 the billing demand, would it not?

25 A That would be the billing demand in months in

1 which he takes no service.

2 Q. Would that be the billing demand which would be  
3 used to determine the energy charge under the HT rate  
4 schedule in subsequent months?

5 A. Well, if he didn't take any service, there  
6 wouldn't be any energy.

7 Q. Let's assume that a maintenance customer who  
8 takes 10,000 kw maintenance power during the summer is  
9 under the curtailable power supply.

10 A. Yes.

11 Q. What would his billing demand be during the  
12 winter period?

13 A. If he takes no service in the winter period?

14 Q. Yes.

15 A. And his entire 10,000 kilowatts is curtailable  
16 load?

17 Q. That is correct.

18 A. His billing demand in the winter would be 25  
19 kilowatts in any months in which he did not take any service.

20 Q. Would this be true even if he took the 10,000 kw  
21 during June, during on-peak hours?

22 A. Yes. And I think that is fairly well described  
23 in the tariff.

24 Q. We have had some questions as to what the tariff  
25 means.

1 A. If you -- well, go ahead.

2 Q. With respect to the HT Curtailment Rider, the new  
3 one, you have provided in there that the total curtailable  
4 load to be accepted under this rider would be limited to  
5 120,000 kilowatts, do you see that?

6 A. Yes.

7 Q. Is there some cost justification which has been  
8 developed for limiting the amount that can be accepted under  
9 the rider to 120,000 kw?

10 A. I don't know that there was a cost justification.  
11 It was a limitation that was established by our system  
12 planning folks.

13 Q. Are you aware of whether any study was done to  
14 support that?

15 A. I think they did, but I had nothing to do with  
16 that.

17 Q. You haven't seen the study if it exists?

18 A. This was established I don't know how many years  
19 ago, quite a few years ago. I may have seen something at  
20 the time. I don't recall.

21 Q. The provision also states that the number of  
22 curtailment occurrences shall not exceed 20, and the total  
23 curtailed hours shall not exceed 200 hours in a 12 month  
24 period beginning May 1 of each year?

25 A. Yes.

1 Q Do you know what the basis is for the limit on  
2 the number of curtailment occurrences and the total  
3 curtailed hours?

4 A Well, part of the reason for the limitation is  
5 to assure the customer that he won't be interrupted some  
6 excessive amount of times.

7 Q Don't misunderstand me. I was thinking more in  
8 the nature of, why not 10, rather than, why not 30?

9 A Again -- and this was established some years  
10 ago -- it was analysis that was done by system planning.  
11 And they established that criteria.

12 Q Has this changed from the current Curtailment  
13 HT Rider to the proposed?

14 A No.

15 MR. O'DONNELL: Could we ask for copies of any  
16 studies that were done to support the 120,000 kilowatt  
17 figure, 20 occurrence limitation, and the total curtailed  
18 hour limitation?

19 MR. MacGREGOR: We will provide whatever is available.

20 BY MR. O'DONNELL:

21 Q Mr. Sundermeir, the Night Service Rider contains  
22 a provision for supplemental energy, which states that  
23 supplemental energy will be billed at the company's hourly  
24 PJM billing rate plus one cent. Is there any cost  
25 justification or study which has been performed in support

1 of the one cent pattern, to your knowledge?

2 A. No. There was none.

3 Q. The new Curtailment Rider in Night Service, HT  
4 Rider, excuse me, states that the expense to provide PJM  
5 dispatch rate to the customer will be paid by the customer.

6 A. Yes.

7 Q. What type of expenses does the company incur in  
8 providing the PJM dispatch rate?

9 A. The customer may call into our load dispatcher  
10 and get information as to what the projected dispatch rate  
11 is for a short period of time in the future.

12 In addition to that, we have supplied information  
13 relating the dispatch rate to billing rate.

14 Q. You charge the customer for responding to those  
15 inquiries?

16 A. We are saying that if there is any significant  
17 expense involved in providing this information, that the  
18 customer would have to pay it.

19 Q. Do you know whether a customer has ever been  
20 billed for providing PJM dispatch rate data?

21 A. I am not aware of whether one has been charged  
22 anything for that or not.

23 MR. O'DONNELL: I wonder if I could ask that, if such  
24 a charge has been assessed, that we be advised of that.

25 MR. MacGREGOR: We will do so. I would just note for

1 the record and for the benefit of those parties who have  
2 not been at previous hearings of the policy approved by  
3 the Judge that on-the-record data requests would be  
4 supplied to the company in writing at the end of the hearing  
5 in order to facilitate and expedite answers to those and  
6 to clarify the question.

7 MR. O'DONNELL: Thank you.

8 THE WITNESS: Could I go back to that last question  
9 that you had in regard to any costs that were involved?  
10 Part of that has to do with whether or not the company might  
11 have to provide the dispatch rate by some communication  
12 device to the customers.

13 And if the customer would request that type of thing,  
14 that is the type of expense that could be involved in  
15 providing that information.

16 BY MR. O'DONNELL:

17 Q. You are not talking about simply answering the  
18 phone and giving a number?

19 A. No, no. I am sure that we don't charge for  
20 simply answering the phone. That is practical as long as  
21 you only have a few customers on the rate.

22 But there was some talk with at least one of the  
23 customers that I am aware of of having some sort of a  
24 recording device or readout device at his location providing  
25 him with the dispatch rate. Now obviously, the company

1 does not feel that it should pay for that type of device.

2 Q As long as the company could advise us whether  
3 anyone has been billed for that particular service, I think  
4 we would be satisfied.

5 A We will check it. My guess is, they have not.

6 Q Could I ask you, Mr. Sundermeir, to turn to  
7 IR-Chem-1-64?

8 A (Witness complying.)

9 Q Do you have that in front of you?

10 A Yes.

11 Q There are a number of pages there. The portion  
12 I am concerned with --

13 A IR-Chem-1-64? I only have one page.

14 Q There was an attachment. Perhaps it's organized  
15 separately under your files. It references IR-PAIEUG-1-10,  
16 1-11. Do you have that?

17 A Yes.

18 Q I am specifically referring to 1-11. Let me give  
19 you the complete reference. It's the attachment to IR-Chem-  
20 1-64. The pages I am referring to are designated  
21 IR-PAIEUG-1-11.

22 A Yes.

23 Q Do you see there, sir, that there is a list of  
24 curtailments for the Curtailment Rider customers on the first  
25 page?

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

A. Yes.

Q. And on the second is a list of curtailments for customers with supplemental energy?

A. Yes.

Q. Down the right hand side of the page on the first page, there are a list of reasons for the curtailments. In all cases, the word "load" appears. Do you see that?

A. Yes.

Q. Can you, based on your experience, tell me what type of load related factors might have led to those curtailments? Are we talking simply about generation capacity problems or are we talking about distribution, transmission, what?

A. This refers to generation of load. And one of the criteria at that time to interrupt a Curtailment Rider customer was when the load got above a certain level. And that is all that that refers to.

Q. Can you tell me what the load figure is or was?

A. I believe it was 4,700 megawatts.

Q. Is that still the load ceiling?

A. We are no longer using load as a criteria for interrupting as of this summer. It's strictly on a cost or max emergency generation situation.

Q. Can you tell me first what the cost is that triggers curtailment?

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

A. The cost is 95 mills.

Q. What's the max generation --

A. In other words, when we have all our generation on and we are in an emergency situation, then we would curtail the customer.

Q. What do you mean by "emergency"?

A. Well, when we have been called on by the load dispatcher to put all of our units on the line because of the load on the system and the available load to supply that load. It's called max emergency generation. Under those circumstances, our load dispatcher would call for the curtailment by the customers on the Curtailment Rider and on the Supplemental Energy.

Q. Looking at 1984, what was the criteria for curtailment of customers with Supplemental Energy?

A. The criteria with customers on Supplemental Energy is when we are in a max emergency generation situation only.

Q. Is that also the criteria that was applied in 1984 for the Curtailment Rider customers?

A. No. The Curtailment Rider customers can also be curtailed when the cost of generation gets above a certain level, and, prior to this past summer, when the load exceeded a certain level.

Q. So, in 1984, the curtailment criteria were

1 different as between the Supplemental Energy and the  
2 Curtailment Riders even apart from the cost issue?

3 A. Yes. We will only interrupt the Supplemental  
4 Energy customers in times of max emergency generation, while  
5 the Curtailment Rider customers can get interrupted at times  
6 other than that.

7 Q. Now, as far as 1985 is concerned, putting aside  
8 the 9.5 cost issue, the other curtailment criteria is  
9 applicable to both, max generation emergency?

10 A. Yes, yes.

11 Q. Could I ask you to turn, sir, to IR-Chem-1-61?

12 A. Yes.

13 Q. In that data request, Occidental asked for a  
14 copy of the written policies of PECO concerning a number of  
15 issues: wheeling power to retail customers; wheeling power  
16 from industrial generators to others; availability and price  
17 of standby power; and purchases from industrial generators.  
18 Do you see that?

19 A. Yes.

20 Q. Your answer indicated that while you don't have  
21 written policies on these subjects, "The company will  
22 consider on an individual basis the wheeling of energy from  
23 a private generator to another electric utility."

24 A. Yes.

25 Q. You make no mention in here of policies concerning

1 standby power. You do refer to wheeling and you attach  
2 a copy of the payment policy for purchases from cogenerators.  
3 Just to make sure the answer is complete, does PECO have a  
4 written policy concerning the availability and price of  
5 standby power other than the tariff?

6 A. The Auxiliary Service Rider, I believe, deals  
7 with that.

8 Q. Other than the tariff, is there a written policy  
9 other than the Auxiliary Service Rider?

10 A. Not that I am aware of.

11 MR. O'DONNELL: Could I have a moment, Your Honor?

12 JUDGE MATUSCHAK: Yes.

13 (Pause.)

14 MR. O'DONNELL: I have no further questions, Mr.  
15 Sundermeir. Thank you.

16 JUDGE MATUSCHAK: Ms. Ferkin, we have examined the  
17 petition of the Governor's Energy Council for the extension  
18 of the time for filing phase-in testimony from January 14  
19 through January 22.

20 We have reviewed the answer, and we have reviewed the  
21 response to the answer. Counsel for the Governor's Energy  
22 Council suggests that if we would extend the time to  
23 January 22, that we could likewise extend the time for  
24 rebuttal and surrebuttal.

25 While we have indicated that we are going to try to

1 be as liberal as we can in these matters so that no one is  
2 precluded from submitting their testimony and submitting  
3 their position in this matter, we don't think this is a  
4 case in which that liberality should be shown as far as  
5 changing the scheduled rebuttal and surrebuttal schedules.

6 If we start doing that, we are in trouble, because  
7 everybody will ask for the same thing. However, there is a  
8 little gray area in this regard as to the timeliness of the  
9 responses to interrogatories.

10 We will extend the time for filing of the Governor's  
11 Energy Council's testimony to Friday, January 17.

12 MS. FERKIN: Your Honor, if I may make one comment,  
13 Your Honor mentioned the proposal that I included in my  
14 response, the proposal that mentioned extension of the  
15 company's cross-examination time and the rebuttal testimony.

16 That was simply to try and address the company's  
17 concern that its time for examination on our testimony would  
18 be truncated.

19 JUDGE MATUSCHAK: I understand that, but I understand  
20 also that we have a very tight schedule here, and in a proper  
21 case, we may go along with that. But I don't think this is  
22 the case for that.

23 I think the Governor's Energy Council has sufficient  
24 time to prepare its testimony within the time that we  
25 allowed in this case, and we would rather not disturb the

1 other schedules, except in a situation that merits some  
2 unorthodox procedure and some change in that schedule.

3 MS. FERKIN: Thank you, Your Honor.

4 JUDGE MATUSCHAK: Who wants to proceed now?

5 MR. KLEPPINGER: I can proceed, Your Honor.

6 CROSS-EXAMINATION

7 BY MR. KLEPPINGER:

8 Q. Good afternoon, Mr. Sundermeir.

9 A. Good afternoon.

10 Q. You list on page 7 of your testimony several  
11 base rate cases wherein you indicate that no significant  
12 changes in cost allocation method have been made, is that  
13 correct?

14 A. Yes.

15 Q. And am I correct that at least to some extent,  
16 you are responsible for the preparation or the data going  
17 into the company's cost studies in each of those cases,  
18 at least involved in the process?

19 A. Yes.

20 Q. And in each of those cases -- obviously there  
21 are variations in the results of a cost study from year to  
22 year, is that correct?

23 A. Yes.

24 JUDGE MATUSCHAK: Excuse me a minute.

25 Did you want to enter your exhibit into evidence?

1 MR. O'DONNELL: Yes, thank you, Your Honor, if I could  
2 move the admission of OCC Exhibit No. 1 into the record.

3 MR. MacGREGOR: No objection, Your Honor.

4 JUDGE MATUSCHAK: There being no objection, the  
5 exhibit is admitted into the record.

6 (Whereupon, the document marked  
7 Occidental Chemical Exhibit  
8 No. 1 was received in evidence.)

9 BY MR. KLEPPINGER:

10 Q. Now, in each of these cost studies referenced at  
11 lines 20 and 21 of your testimony, was there consistency in  
12 the relative rates of return being shown by the customer  
13 classes from year to year, consistency above the system  
14 average and consistency below the system average for any  
15 one of the classes?

16 A. I would say with most of the classes of service  
17 there was some consistency as far as being above or below  
18 the system average.

19 Q. And was one consistency that the Rate HT class  
20 was consistently above the system average?

21 A. Yes, up until this cost allocation.

22 Q. This one is not referenced at lines 20 and 21,  
23 Mr. Sundermeir.

24 A. That's correct.

25 Q. Maybe it won't be.

Am I also correct that in these cost of service

1 studies at least, for the most part, residential classes  
2 of customers were below the system average?

3 A. Yes.

4 Q. Then along comes the Limerick 1 case, is that  
5 correct?

6 A. Yes.

7 Q. And lo and behold, the results have changed a  
8 little bit?

9 A. Yes.

10 Q. When you derived the HT summer coincident peaks  
11 for 1984, did you use the total coincident peak of each HT  
12 customer in arriving at their contribution to the peak?

13 A. We used the demands of the total HT class at the  
14 time of the peak, of all customers in the class, if that's  
15 the question.

16 Q. And did you look at each individual HT customer's  
17 contribution, their demand at that time?

18 A. Of all 2,000 and some customers?

19 Q. To build the load, yes.

20 A. No. What we do is, we look at the demands of all  
21 the customers over 2,000 kilowatts, and then we have a  
22 sample of the customers under 2,000 kilowatts, and that is  
23 what is used to develop the class load.

24 Q. Am I correct that the substantial majority of HT  
25 customers have loads above 2,000?

1 A. Not in terms of number of customers, no.

2 Q. In terms of the percentage of the load of the  
3 class?

4 A. Of the load, yes.

5 Q. Did you differentiate for the contribution of the  
6 HT to the class between firm load and curtailable load or  
7 supplemental energy load?

8 A. We look at the actual load at the time of the  
9 peak of all customers served on Rate HT.

10 Q. You didn't account then for whether any of that  
11 load at that time was curtailable or was being provided  
12 pursuant to the supplemental energy provision of the HT  
13 Curtailment Rider and the Night Service HT Rider?

14 A. It would have been based on the actual load of  
15 those customers at those times.

16 Q. During the summer of 1984, am I correct that at  
17 least one HT customer was taking service pursuant to the  
18 terms and conditions of the HT Curtailment Rider?

19 A. There was at least one customer. There may have  
20 been two.

21 Q. And similarly, were there at least two customers  
22 on the Supplemental Energy Rider provision?

23 A. I am not sure. In the summer of 1984, there may  
24 have only been one customer on Supplemental Energy. I'd  
25 have to check that. There are three customers on the rider

1 now. I know that one customer was on prior to the summer of  
2 1984. I am not quite sure of the dates when the other two  
3 customers came on to the Supplemental Energy provision.

4 Q I believe later on we can clarify that with an  
5 interrogatory that is outstanding.

6 A Yes.

7 Q I believe it has been established before today  
8 that pursuant to the HT Curtailment Rider, such a  
9 customer -- and there was at least one, as you mentioned --  
10 can be curtailed on a 30-minute notice?

11 A Yes.

12 Q And I believe you have identified the terms, the  
13 conditions under which such a curtailment would be made, and  
14 you provided us with those in an interrogatory response,  
15 PAIEUG-1-12, is that correct?

16 A I believe that number is correct. The interroga-  
17 tory number is the number I am referring to.

18 MR. KLEPPINGER: Your Honor, I would like to have  
19 marked for identification as PAIEUG Exhibit No. 2 the  
20 company's response to IR-PAIEUG-1-12.

21 JUDGE MATUSCHAK: Very well.

22 (Whereupon, the document was  
23 marked PAIEUG Exhibit No. 2  
24 for identification.)

25 BY MR. KLEPPINGER:

Q I believe we have already covered today that these

1 curtailments will be made when the PECO Lambda reached  
2 95 mills per kwh, or when a max emergency situation is  
3 required?

4 A. Yes.

5 Q. Is that an either/or situation, or must both  
6 conditions prevail before an interruption?

7 A. No. The Curtailment Rider customer will be  
8 interrupted if either one of those conditions exists. The  
9 Supplemental Energy customer will only be interrupted when  
10 the second condition exists.

11 Q. Under either of these conditions, is it safe to  
12 say that these interruptions would only occur when PECO  
13 system loads are high relative to the amount of generating  
14 capacity that it has available at any given time?

15 A. Most likely.

16 Q. The Supplemental Energy portion of the Night  
17 Service HT Rider is also a curtailable service, correct?

18 A. Yes.

19 Q. And once again, that is subject to interruption  
20 on one half hour notice?

21 A. Yes.

22 Q. And in fact that interruption states in the terms  
23 of the tariff, does it not, that it will be made in the sole  
24 judgment of PE when any capacity limits exist on the system?  
25 That language was extracted from the tariff itself, is that

correct?

1 A. Yes.

2 Q. In making the decision to curtail these two  
3 types of customers, is it only in situations where PECO  
4 perceives that the capacity it has generating at that time  
5 is needed to continue service to its firm customers?

6 A. That would be the situation when max emergency  
7 generation is called for, not necessarily when the cost  
8 exceeds 95 mills.

9 Q. Is it safe to say then that the company would not  
10 install additional generating capacity in order to serve  
11 loads pursuant to the Supplemental Energy provision or the  
12 Curtailable HT Rider?

13 A. Well, that would certainly be a consideration in  
14 designing the capacity requirements of the system.

15 Q. Would you consider it good system planning to  
16 construct capacity in order to serve load which is in effect  
17 interruptible?

18 A. That would be a question that is better directed  
19 to our system planning people than to me as to exactly what  
20 they consider under those circumstances.

21 Q. If you don't have to provide a customer with  
22 firm service and can interrupt him at times of maximum  
23 generating capacity condition, wouldn't it be somewhat  
24 unreasonable to build a generating station to serve:  
25

interruptible loads?

1  
2 A. Well, you have to be a little careful, because  
3 you can only interrupt the customer to a certain demand  
4 level. He may already be there, in which case your  
5 interruption really does you no good as far as increased  
6 capacity.

7 Now, to what extent or how they take that into  
8 consideration in designing needed capacity, I really don't  
9 know.

10 Q. Mr. Sundermeir, you were also responsible, were  
11 you not, for preparing the response to Interrogatory  
12 IR-PAIEUG-1-10, which provides information concerning  
13 interruptible loads for December, 1983 through December,  
14 1984?

15 A. Yes.

16 MR. KLEPPINGER: Your Honor, I would like to have  
17 marked for identification as PAIEUG Exhibit No. 3 the  
18 company's response to IR-PAIEUG-1-10.

19 JUDGE MATUSCHAK: Very well.

20 (Whereupon, the document was  
21 marked PAIEUG Exhibit No. 3  
for identification.)

22 THE WITNESS: Before you leave that, could I point  
23 out an error in that response to that interrogatory?

24 JUDGE MATUSCHAK: Let's correct the error on the  
25 exhibit.

1 MR. KLEPPINGER: Why don't we wait until everyone  
2 receives their copy.

3 JUDGE MATUSCHAK: Let's make the physical change.  
4 What exhibit number is this?

5 MR. KLEPPINGER: This is No. 3, Your Honor.

6 JUDGE MATUSCHAK: What was the last one, No. 2?

7 MR. KLEPPINGER: Yes.

8 JUDGE MATUSCHAK: Can you tell us where the  
9 correction is?

10 THE WITNESS: Yes. Near the bottom of the page,  
11 there is a list of five customers, Nos. 1, 2, 3, 4 and 5.  
12 Alongside that is a column headed "Interruptible Load."  
13 And for customers 3, 4 and 5, that should be Mw instead of  
14 kw.

15 JUDGE MATUSCHAK: Should be what?

16 THE WITNESS: Mw, megawatts, instead of kw, kilowatts.

17 MR. MacGREGOR: Just for Nos. 3, 4 and 5?

18 THE WITNESS: Just for Nos. 3, 4 and 5, yes.

19 JUDGE MATUSCHAK: We will make the physical change on  
20 the exhibits, then.

21 BY MR. KLEPPINGER:

22 Q One other area that may require correction, Mr.  
23 Sundermeir -- I am not sure, frankly -- in the response to  
24 Part C where we requested the amount of firm load per  
25 customer's contract --

1 Q. You indicate in the response, "Firm loads are as  
2 follows," and then the caption on the right hand column is  
3 "Interruptible Load." Should that be "Firm Load"?

4 A. No. I think that is the amount of load that is  
5 interruptible. In other words, the customer has a firm  
6 contract demand which he must interrupt to upon request by  
7 the company.

8 This is the estimated amount of interruptible load  
9 available to us. It may not always be available to us at  
10 the time we ask for it.

11 So, in other words, we don't tell the customer, "You  
12 interrupt 200 kilowatts" when we call him on the phone. He  
13 has a firm contract demand, and we tell him to curtail to  
14 the firm contract demand.

15 Q. What we were asking for, Mr. Sundermeir, in the  
16 question is the amount of firm load per the customer's  
17 contract, and I just wanted to clarify if what you have  
18 given us in Part C, the 200 kw, for example, for Customer 1,  
19 is the amount of firm load in their contract.

20 A. No.

21 Q. Then what --

22 A. Let me check that. Let me doublecheck that.

23 Q. Now, pursuant to this Exhibit No. 3, Mr.  
24 Sundermeir -- were you going to check that now, or --

25 A. No, I will check that and get back to you.

1 Q. All of these interruptible customers are on  
2 Rate Schedule HT, is that correct?

3 A. Yes.

4 Q. And you have defined Customer No. 2 in this  
5 response as a curtailable customer?

6 A. Yes.

7 Q. Would you turn to Attachment 1-10-e?

8 A. (Witness complying.)

9 Q. Am I correct that in 1984, during the month of  
10 June, Customer No. 2 had a contribution to the peak of  
11 8,664 kw?

12 A. I'm sorry, you're looking at Customer No. 2?

13 Q. Yes.

14 A. And you are looking at the sheet --

15 Q. Attachment IR-PAIEUG-1-10-e.

16 A. Oh, okay, I have the right one. What was the  
17 question?

18 Q. In June of 1984, am I correct that Customer No. 2  
19 contributed 8,664 kw to the coincident peak?

20 A. Yes.

21 Q. And is that at the meter or at the generator?

22 A. That is at the meter.

23 Q. Again, I would like you to flip back to the  
24 response to Part C of this question, and bear with me at  
25 this point, because I am going to have to make an assumption

1 on what Part C provides us with. I understand you are  
2 going to check.

3 But if we assume that Part C provides us with the  
4 amount of firm load per the customer's contract as was  
5 requested in the question, would I be correct that PE was  
6 only obligated to supply Customer No. 2 a load of 5,500 kw  
7 during that June, 1984 peak?

8 A. If the number in C is the firm contract, then  
9 that is the obligation of the company, yes.

10 Q. But for cost of service study purposes, I take it  
11 the input into the cost study for this customer would have  
12 been a load of 8,664 kw?

13 A. That is correct.

14 Q. Now, by definition, Mr. Sundermeir, am I correct  
15 that a customer's coincident peak should always be less  
16 than or equal to his non-coincident peak?

17 A. Yes.

18 Q. Continuing with Attachment 1-10-e, I'd now like  
19 to focus on Customer No. 3, if you would. In September of  
20 1984, am I correct that this customer imposed a contribution  
21 to the peak of 40,035 kw?

22 A. Yes.

23 Q. And I'd like you to compare that for the moment  
24 to Attachment 1-10-d, page 3 of 5, which provides us with  
25 an on-peak regular kw for Customer No. 3 in September of 1984

1 of 22,560 kw, is that correct?

2 A. That is correct.

3 Q. Does this number on page 3 of 5 exclude the  
4 demands associated with Supplemental Energy?

5 A. Yes.

6 Q. Does that then explain the difference between  
7 the 22,560 and the 40,035 kw referenced earlier?

8 A. Well, of course, the values shown for Customer  
9 No. 3 on page 3 of 5 are not necessarily at the same time  
10 as the 40,000 shown.

11 Q. But for September of 1984, the 22,560 is the  
12 monthly peak for that customer?

13 A. Not necessarily, and probably not coincident  
14 with the system peak. That is, that customer's maximum  
15 could have occurred at any on-peak time in the month.

16 Q. So that, at the time of the company's peak, it  
17 would have to be equal to or less than the 22,560?

18 A. That's correct.

19 Q. And once again, would I be correct that for cost  
20 study purposes, the contribution of this customer to the  
21 system peak of 40,035 kw was utilized?

22 A. That is correct.

23 Q. If we ... previously agreed that the Supplemental  
24 Energy provisions and the demands associated with  
25 Supplemental Energy are interruptible in nature, would I be

1 correct that the company was only obligated to supply at  
2 the most 22,560 kw at the time of its peak?

3 A. In this particular instance, the customer was  
4 not interrupted and the company was providing the full  
5 amount. So, for cost allocation purposes, we used the  
6 total customer loads at the time of the peak.

7 Q. I realize the service continued, but I am  
8 concerned with the obligation of the company at the time of  
9 the system peak. It was only obligated to provide the  
10 22,560 as a maximum amount for that customer if it was that  
11 customer's peak for the month, anyway.

12 While it did agree apparently to provide the full  
13 40,000, it could have interrupted that differential.

14 A. The company would only interrupt that customer  
15 if the company did not have sufficient generation capacity  
16 to meet that customer's need.

17 The customer has the option of in effect interrupting  
18 himself if the cost gets too high. In this particular case,  
19 the customer did not choose to interrupt to the lower demand  
20 level. And the company did supply the maximum demand  
21 required by that customer at that time.

22 Q. I take it then that the company's peak in  
23 September of 1984 did not place them in a maximum generating  
24 capacity emergency of any sort?

25 A. Well, I would have to assume so. If the customer

1 had been asked to curtail at that time and didn't, the  
2 customer would have been billed with a substantial penalty.

3 Q. Do you have information comparable to  
4 Attachment 1-10-d, particularly Column 1, the on-peak  
5 regular kw for Customers 3, 4 and 5 on the days of the  
6 four summer system peaks in 1984?

7 A. You are referring to 1-10-d?

8 Q. Yes.

9 A. In which for each customer we show the maximum  
10 demand and the maximum billed demand and the kilowatt-hours?

11 Q. You should look with Customers 3, 4 and 5.

12 A. Yes.

13 Q. What I am interested in obtaining is the Column  
14 1 data, the column labeled, "REG kw," in the on-peak period  
15 for the four days of the company's system peak in 1984,  
16 each of those four days.

17 A. At the time of the system peak?

18 Q. On the day of the system peak.

19 A. Regardless of time?

20 Q. Right.

21 A. We could supply that.

22 JUDGE MATUSCHAK: Let's go off the record.

23 (Discussion off the record.)

24 JUDGE MATUSCHAK: Back on the record.

25

1 JUDGE MATUSCHAK: When you're ready.

2 MR. KLEPPINGER: Thank you, Your Honor.

3 We will provide Mr. MacGregor with a written  
4 request.

5 BY MR. KLEPPINGER:

6 Q As a general proposition, Mr. Sundermeir, would  
7 you agree that curtailable customers or interruptible type  
8 customers receive a quality of service lower than what your  
9 firm customers receive?

10 A That's true.

11 Q If such curtailable and interruptible supple-  
12 mental energy type customers are treated as firm customers  
13 in the cost study, would the lower charges which they pay  
14 for that lower quality service effectively depress the rate  
15 of return of the class?

16 A The only lower charges is a credit that results  
17 from the Curtailment Rider credit of \$2 a kilowatt. That  
18 would have a tendency to lower the overall revenue of the  
19 class, but as you can see by the size of the two customers  
20 that are on that, it would have a negligible effect.

21 In the case of supplemental energy, the exact oppo-  
22 site could be true; there could be additional revenue to  
23 the class that the company would not have otherwise gotten.

24 Q But the costs that are associated with those  
25 revenues are assigned in the cost study as if all that

1 energy was being provided on a firm basis; isn't that true?

2 A. The cost is allocated to that class of service  
3 in accordance with the actual demands of the customers at  
4 the times of the peak, whether that be firm or curtailed or  
5 whatever it happens to be at those particular hours.

6 Q. And if a customer on the Supplemental Energy  
7 Rider perceived that he was going to be paying more per  
8 kwh of energy under that rider than under the normal Rate  
9 HT tariff, he would opt to be interrupted under the  
10 Supplemental Energy, wouldn't he?

11 A. No; I didn't necessarily say that the customer  
12 would pay more. I said the company may actually receive  
13 more revenue because the customer may use energy that he  
14 would not otherwise have used, and, therefore, the company  
15 receives the additional 1 cent a kilowatt-hour that is  
16 added onto the PJM billing rate; and I would look at that  
17 as being additional revenue that the company may not have  
18 otherwise collected.

19 Q. Now, associated with those additional kilowatt-  
20 hours of sales, I take it that a supplemental energy cus-  
21 tomer, though, would not pay any demand charge associated  
22 with that?

23 A. He would not pay a demand charge on the supple-  
24 mental energy portion of the load.

25 Q. Moving to another area, Mr. Sundermeir, are you

1 familiar with the term "effective degree hours"?

2 A. Yes.

3 Q. Is that commonly referred to as EDH?

4 A. Yes.

5 Q. Could you define that term for the record,  
6 please?

7 A. Yes. It is the dry bulb temperature minus 75  
8 degrees, plus 2 times the wet bulb temperature minus 65 de-  
9 grees, divided by 3.

10 Q. Does that value essentially constitute a weather  
11 variable measurement?

12 A. Yes. It would reflect both temperature and  
13 humidity.

14 Q. Am I correct that Rate Schedules R, RH and GS  
15 are the only schedules which are really sensitive to EDH?

16 A. They would be most sensitive, I believe, to  
17 changes in effective degree hours.

18 Q. Is an EDH value an hour or a one-half hour  
19 figure, or is it a simple average value for an entire day?

20 A. It is calculated hourly and totaled for the day.

21 Q. So the resulting number is an average of the day?

22 A. Well, it's a total for the day.

23 Q. Total for the day.

24 A. Yes.

25 Q. Is that developed, then, on an hour-by-hour

1 basis or an average day basis?

2 A. It's done on an hour-by-hour basis.

3 Q. How does the EDH vary over the day, the 24-hour  
4 period, when the company experiences its monthly summer  
5 peaks?

6 A. Normally, the effective degree hours would be  
7 going up as our load goes up.

8 Q. Then would there be a tailing off effect after  
9 the peak is hit and you start to move out of the peak  
10 period?

11 A. You're looking at it on a daily basis?

12 Q. On the four coincident peak days used in the  
13 cost study, particularly.

14 A. Well, those four days would normally have a high  
15 effective degree hour value.

16 Q. On an hour-by-hour basis, is there variability  
17 in that EDH as you move through the 24 hours of the day?

18 A. Well, there would be. In developing our cost  
19 data and in developing our load data, we never use an hour-  
20 by-hour effective degree hours; it is the total for the  
21 day, as developed on an hour-by-hour basis.

22 Q. Mr. Sundermeir, do you know what the EDH values  
23 were for the four peak days which were used in the cost of  
24 service study?

25 A. Yes.

1 Q Can you provide those?

2 A Yes. On the day of the peak in June the EDH  
3 value was 143; in July it was 170; in August it was 131;  
4 in September it was 86.

5 Q You may want to hold on to that page,  
6 Mr. Sundermeir. I take it that these numbers were on the  
7 peak days in 1984; is that true?

8 A That's correct.

9 Q Do you examine this EDH data prior to the  
10 preparation of your cost study?

11 A I'm not quite sure what you mean by "examine."  
12 We use these data in adjusting the residential and small  
13 commercial and industrial class loads to those values on  
14 those days.

15 Q But you do look at the EDH prior to preparing  
16 your cost study in any of the cases which we referenced  
17 earlier?

18 A Yes. We have to know that before we can pre-  
19 pare the load data that is used in the cost study.

20 Q Would you characterize these EDH values in 1984  
21 as typical or atypical of the EDH values which have been  
22 used in prior cost of service studies?

23 A Generally, the values in 1984 were lower than  
24 what you would normally expect or that we have seen in  
25 other years.

1 Q As a typical or a normal EDH value on one of  
2 your four summer coincident peak days, is the number 213 a  
3 typical number?

4 A Some years ago there was an analysis made of  
5 weather data to look at what a typical hot spell was in the  
6 summer, and that analysis showed at that time that 213  
7 effective degree hours was typical.

8 Q I believe you were beginning to provide us  
9 with EDH values for another year. Do you have the EDH val-  
10 ues yet for 1985?

11 A Yes, I do.

12 Q Could you provide those for the record in the  
13 four summer peak months?

14 A Yes. In the order of June through September,  
15 it is 121, 212, 234 and 182.

16 Q September of '84, then, which had a value of  
17 86 EDH, increased by almost 100 EDH between '84 and '85;  
18 is that correct?

19 A That's correct.

20 Q As did the August number, from 131 to 234?

21 A Yes.

22 Q If we were to look at the year prior to 1984, on  
23 the same sheet you're looking at, do you have the EDH value  
24 for the September peak in 1983?

25 A Yes. It was 216.

1 Q Again, considerably higher than what was experi-  
2 enced in 1984?

3 A Yes. And it is probably higher than it might  
4 frequently be in the month of September.

5 Q Just to make the record clear, I believe it was  
6 already indicated this morning that you did not weather  
7 adjust your '84 data for typical weather conditions antici-  
8 pated for 1986, the future test year in the cost study; is  
9 that true?

10 A Only to the extent that the load data was ad-  
11 justed in accordance with the sales for the test year end-  
12 ing June 30, 1986, and those sales are assumed to be on a  
13 normal weather basis.

14 Q Am I correct that the time of the peaks in  
15 August and in September of 1984 was at approximately 2:00  
16 p.m. in the afternoon?

17 A It was 2:00 p.m. in September. It was 3:00 p.m.  
18 in August.

19 Q 3:00 p.m. in August.

20 Has the peak in those months in prior years been  
21 later in the afternoon than 2:00 or 3:00 p.m.?

22 A Just quickly looking back over the list, I see  
23 some days when it occurred at 2:00, and some when it  
24 occurred at 3:00, and some at later times.

25 Q In August and September?

1 A. Yes. For example, in August and September of  
2 1980, it occurred at 2:00 and 3:00, respectively. In 1981,  
3 it happened to occur at 4:00 and 5:00, so that was later  
4 than 2:00 and 3:00.

5 In 1982, it occurred at 3:00 and 5:00, so one of the  
6 months did occur at 3:00. In 1983, it occurred at 5:00 and  
7 5:00, so they are later.

8 So it happens both ways.

9 Q Do you know, Mr. Sundermeir, if the company's  
10 System Planning Department includes weather variability  
11 when projecting its future class system peaks?

12 A. Yes, I do know that they do that.

13 Q Does the company have the data available to it  
14 to perform a cost study with a weather adjustment for a  
15 normal or a hot spell condition?

16 A. We could really adjust the load data for the  
17 residential and small commercial customers to reflect any  
18 desired value of effective degree hours.

19 Q Has the company performed a cost study with  
20 normal EDH values for the 1986 test year?

21 A. We made a rough run of one. It was done in a  
22 hurry and there were a few errors in it, but we haven't done  
23 any that we would at this time present.

24 Q If you wouldn't present it in testimony, would  
25 you present it in a data request response?

1 A. Not what we've done so far, no. We're not basing  
2 any claim for a cost allocation on that basis.

3 Q. If we operate from the assumption that the 1984  
4 EDH are below normal, would I be correct that a 1986 cost  
5 study would also use abnormally low EDH for the weather-  
6 sensitive rate schedules?

7 A. Not necessarily. What we're dealing with is an  
8 unknown when we go to 1986. All we have done is assume  
9 that the relationship between the contributions to the  
10 peak and the annual energy use in 1984 is the same as it  
11 would be in 1986.

12 Q. And impliedly then do you not assume that the  
13 weather will be similar in 1986 to what it was in 1984?

14 A. No. What we're assuming is that the relation-  
15 ship between energy and demand is the same in '86 as it  
16 was in 1984. The change in kilowatt-hours itself for the  
17 budget year already reflects a change to the normal weather  
18 conditions.

19 All we are assuming is that the relationship between  
20 those normal kilowatt-hours that are in the budget and the  
21 contributions to the peak, that relationship is constant.

22 Q. Isn't the 1984 relationship which you established  
23 as the basis for the adjustment dictated by the EDH values  
24 experienced in 1984, to a certain degree?

25 A. To a certain degree; but it is also a function

1 of the sales in 1984, and those sales would reflect the  
2 fact that the summer period was cooler than normal.

3 Q I would just like to clarify a few items of load  
4 survey data which had been covered this morning. I would  
5 again like to focus on Rate Schedules R, RH and GS.

6 Would I be correct that the load survey data utili-  
7 zed for those classes is based on a selection of average  
8 hot weeks and average cool weeks?

9 A Yes. When the actual field survey is done, as  
10 I think I explained earlier this morning, we go back and  
11 we select two hot weeks and two cool weeks in that particu-  
12 lar summer, and we develop the average customer demands in  
13 those four weeks. We select two hot summer weeks and two  
14 cool summer weeks.

15 Q For these classes, then, do you also take the  
16 average overall daily EDH in order to adjust for tempera-  
17 ture on the four days of the peak?

18 A Yes. What we do with the load survey data, we  
19 take the difference between the selected hot days and the  
20 selected cool days, and we also know the difference between  
21 the effective degree hours between the hot and cool days,  
22 and assuming that the difference between the loads on the  
23 hot days and the cool days is air cooling load, and knowing  
24 the EDH values from which the test data were obtained, we  
25 can make adjustments to those data to reflect different

1 values of effective degree hours; and that's what we do.

2 Q And then a final step before the input into the  
3 cost study is to average the results of those four peak  
4 days; is that correct?

5 A That's correct.

6 Q Now, this differs a bit, does it not, from the  
7 material utilized for the PD and HT classes, which, as I  
8 understood this morning, is essentially an actual one-half  
9 hour data without any averaging process involved; is that  
10 correct?

11 A The difference with the HT and PD data is that  
12 we actually obtain the recorded demands of the customers  
13 on the days of the peaks, so we don't have to adjust those  
14 for weather conditions that existed on the day of the peak  
15 because we already know their loads on the day of the peak.

16 Q Has the company ever performed a study or an  
17 analysis of how EDH varies as a function of hourly demand  
18 on the peak days?

19 A I'm not aware of -- you're talking about system  
20 peak demands, or system demands?

21 Q The hourly demand of the system on the peak day.

22 A I'm not aware of any study relating system peak  
23 with effective degree hours.

24 Q The results obtained from the cost study are  
25 reflected, are they not, in the unit cost data which you

1 have included in Section 6 of your Exhibit WFS-1?

2 A. That is one of the results of the cost alloca-  
3 tion; yes.

4 Q. Could you turn for the moment to page 39 of  
5 Section 6?

6 A. Yes.

7 Q. This unit cost study breaks down each customer  
8 class--and this, in particular, is Rate HT-- into demand,  
9 energy and customer cost components, correct?

10 A. That's correct.

11 Q. Would a change in the production demand alloca-  
12 tion factor affect the energy revenue requirement for this  
13 rate schedule?

14 A. My hesitancy is in the fact that there are a lot  
15 of trailing schedules that are developed in the cost alloca-  
16 tion, and it is possible -- just possible; I'm not sure --  
17 that some change in one of the trailing schedules could  
18 cause a change in -- a slight change, I would think, in the  
19 energy value.

20 Q. The major change, however, would be in the  
21 demand cost component?

22 A. Yes.

23 Q. So that if we change the four coincident peak  
24 allocator, for example, to a single annual maximum demand  
25 allocator, which of the columns on this page would you

1 expect to experience significant changes? Those columns  
2 being the "Four Peak," the "Class Peak," the "Energy" and  
3 the "Customer" columns.

4 A. You would expect the most significant change in  
5 the "Four Peak" column.

6 Q. And you would have very insignificant changes,  
7 if any, in the remaining three?

8 A. Yes.

9 Q. Similarly, if we changed the 4-CP allocator, for  
10 example, to a non-coincident peak allocator, a similar  
11 result would obtain, only the "Four Peak" column would have  
12 a significant change; is that true?

13 A. This is true as long as we're assuming that  
14 when we make these changes and we're using the coincident  
15 peak, that we're only changing the schedule that we allo-  
16 cate production and transmission plant on. As we indicate  
17 in our cost study, that is Schedule A-1.

18 That is normally the only schedule that we change  
19 when we go from one method to another.

20 The answer to your question is yes, if that is what  
21 you are referring to.

22 Q. That's what I am referring to.

23 You stated earlier this morning that the data on  
24 page 39 was utilized to generate the cost/revenue curves in  
25 Section 7 of your exhibit?

1 A. The cost/revenue curves in Section 7 are at the  
2 system average return.

3 Q. The revenue curve -- let's take a specific  
4 example. For the HT 50,000 kw customer on page 50, is not  
5 the revenue curve based on the class rate of return?

6 A. No. As you can see in the box at the top of the  
7 curve there, it says "cost with 12.70 return on original  
8 cost rate base element."

9 Q. That's the cost curve. I'm looking at the  
10 revenue curve which is above that.

11 A. I'm sorry. That's based on the proposed rates.

12 Q. Which would imply the rate of return for the  
13 class.

14 A. Yes.

15 Q. Now, the purpose, I take it, of these cost/  
16 revenue curves is to show the revenue tracking ability of  
17 your rate schedules as a function of load factor at various  
18 demand levels; is that correct?

19 A. Yes.

20 Q. If we look at each of the Rate HT cost/revenue  
21 curves, we see that at proposed rates, at each demand level,  
22 and at every hour of use, the proposed rates provide  
23 revenue in excess of system average return cost; is that  
24 correct?

25 A. Yes. I think we discussed that earlier today,

1 some of the reasons for that.

2 Q I know you identified one or two of the reasons  
3 earlier this morning, but I guess I'm troubled with what  
4 value these cost/revenue curves provide us if they tend to  
5 contradict the results we would expect from a cost study.

6 A No. The value, the basic value for the cost  
7 curve is the establishment of the energy price blocks for  
8 Rate HT and PD.

9 Q And one of the major components of that cost  
10 curve is the demand cost curve which you have utilized and  
11 defined this morning as the Barry Curve relationship; is  
12 that correct?

13 A We used the Barry Curve to develop the demand  
14 cost; yes.

15 Q When you utilized the Barry Curve, you extracted  
16 unit costs, did you not, which emanated from the 4-CP cost  
17 study?

18 A Yes.

19 Q So that one of your inputs into the Barry Curve  
20 relationship was cost data utilizing a coincident peak  
21 allocation method; is that correct?

22 A Yes.

23 Q Does the use of a coincident peak allocation  
24 method, in conjunction with the Barry Curve -- is that  
25 consistent with Mr. Barry's unified theory, if you will,

1 for cost allocation within a rate schedule?

2 A. Yes, because what we do -- the costs for produc-  
3 tion and transmission are allocated on the basis of the  
4 contributions to system peak.

5 The distribution costs are allocated primarily on  
6 the basis of non-coincident peak.

7 What we develop there is a total demand-related  
8 revenue requirement. We can then divide that by the kilo-  
9 watts of class peak, and we get a unit cost in terms of  
10 dollars per kilowatt of class peak; and then that can be  
11 used and is consistent with the data from the Barry Curve.

12 Q. Are you familiar with Mr. Barry's text, which  
13 discusses the general unified theory as he defines it?

14 A. I have read Mr. Barry's text, but it has been  
15 quite some time ago.

16 Q. I labor through it every case.

17 Is it your recollection from your review of his  
18 text that Mr. Barry actually favored a non-coincident peak  
19 allocation of production and transmission plant in order to  
20 be consistent with his utilization of the Barry Curve for  
21 the development of an intra-class rate design?

22 A. I'm not really sure that he used a non-coincident  
23 class peak for that particular reason, nor do I think that  
24 we are being inconsistent when we do it our way. We feel  
25 that it is more appropriate to allocate production and

1 transmission based on a coincident peak method, but then  
2 we convert the resulting revenue requirement into dollars  
3 per kilowatt of class peak, which makes it consistent for  
4 use with the Barry Curve.

5 Q Was part of Mr. Barry's goal to identify how  
6 best to distribute the benefits of load diversity among  
7 individual customers within a rate schedule?

8 A That was the purpose of the Barry Curve.

9 Q Just for the record, Mr. Barry was a PE employee  
10 at the time he prepared his text; is that correct?

11 A That is correct.

12 Q Now, another difference, if you will, between  
13 the cost study in this case and the cost study in the last  
14 case is that Rate HT has been split, in the sense that two  
15 customers have been removed; is that correct?

16 A That's correct.

17 Q Those two customers are SEPTA and Amtrak?

18 A That's right.

19 Q You testified in the last case, did you not,  
20 regarding the appropriateness and the methodology to remove  
21 a customer or a small group of customers from Rate HT; is  
22 that correct?

23 A Yes.

24 MR. KLEPPINGER: Your Honor, I would like to have  
25 marked as PAIEUG Exhibit No. 4 an excerpt from the rebuttal

1 testimony of Mr. Sundermeir at Docket R-842590.

2 JUDGE MATUSCHAK: Very well.

3 (Whereupon, the document was  
4 marked as PAIEUG Exhibit No. 4  
5 for identification.)

6 BY MR. KLEPPINGER:

7 Q Do you have that before you, Mr. Sundermeir?

8 A Yes.

9 Q Do you recall this testimony? I think you can  
10 focus on the question and answer beginning on page 35 and  
11 carrying over to 36 as what I am interested in.

12 A Yes.

13 Q You indicate in the response that PECO does not  
14 routinely develop separate monthly load data for railroads.  
15 Did PECO develop that monthly load data for the  
16 railroads in order to prepare the cost study in this case?

17 A We obtained the load data on the days of the  
18 system peak for SEPTA and Amtrak.

19 Q But you did not obtain monthly load data over a  
20 12-month period?

21 A No.

22 Q You also indicated there that contrary to  
23 Mr. Sharma's contention -- and, for the record, do you  
24 recall Mr. Sharma testifying on behalf of SEPTA and Amtrak  
25 in the last case?

A Yes.

1 Q You indicate that data was not available to  
2 develop cost-justified rates applicable specifically to  
3 the railroads.

4 A Yes.

5 Q You responded in this case, did you not, to the  
6 Commission's Order requesting you to prepare a cost study  
7 for SEPTA and Amtrak; is that correct?

8 A Yes, it is.

9 Q And that Order came down in late-January of  
10 1985; is that correct?

11 A Yes.

12 Q This case was filed September 27, 1985?

13 A Yes.

14 Q In that time period between late-January and  
15 late-September, did you develop the data necessary to  
16 develop cost-justified rates for SEPTA and Amtrak --

17 A Yes.

18 Q -- to the same degree that you have data avail-  
19 able for HT as a class?

20 A We went far beyond any analysis that we would  
21 make for HT as a class. We, literally, looked at every  
22 delivery point and the distribution system to serve every  
23 delivery point for SEPTA and Amtrak. And, as indicated in  
24 response to this question, it was a tremendous amount of  
25 work.

1 Q And you accomplished that between February 1 and  
2 September 27?

3 A Yes. My recollection was that -- well, the  
4 analysis was done by our electrical engineering division;  
5 and my recollection is there were some 900-plus manhours  
6 involved.

7 Q Were the costs of those manhours directly  
8 assigned to the Amtrak and SEPTA rate schedule?

9 A My answer is: I don't know.

10 Q Let's look specifically at a few of the alloca-  
11 tions on this point. Could you turn for the moment to  
12 page 21b of WFS-1?

13 A Yes.

14 Q You have an allocation on that page of Account  
15 368, Line Transformers; is that correct?

16 A Yes.

17 Q And you have a line 24, Primary Transformers,  
18 RR-HT.

19 A Yes.

20 Q Is that "RR" designation for railroads?

21 A I think that might have been a carry-over from  
22 the designations indicated in the computer printouts that we  
23 used formerly. Subsequent to that, when we made this  
24 analysis of this specific distribution system, we were  
25 able to directly assign into the proper account the dollars

1 that resulted from that analysis.

2 Q And those dollars would be 205,000, I would  
3 take it, from line 24 of page 21a; is that correct?

4 A Oh, I'm sorry. The "RR" referred to there is  
5 "Rental Rider," not "Railroad."

6 JUDGE MATUSCHAK: If you find a good place to stop,  
7 we'll recess.

8 MR. KLEPPINGER: This is as good as any, Your Honor.

9 JUDGE MATUSCHAK: We'll take a short recess.

10 (Recess.)  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

JUDGE MATUSCHAK: Whenever you are ready,

1 Mr. Kleppinger.

2 MR. KLEPPINGER: Thank you.

3 BY MR. KLEPPINGER:

4 Q. Could you turn, Mr. Sundermeir, to page 20 of  
5 the cost study, 20a and 20b.

6 A. Yes.

7 Q. Now, on this page, you also have a designation  
8 under Accounts 360, 361 and 362 of "RR Sub." Is it safe  
9 to say now that at this location the "RR" stands for  
10 railroad?

11 A. Yes.

12 Q. If we look in particular at Account 361,  
13 "Structures and Improvements," am I correct you show a  
14 direct assignment to Amtrak of \$17,000?

15 A. That is correct.

16 Q. But there is no assignment to SEPTA on that  
17 account; is that correct?

18 A. That is correct.

19 Q. Are there no railroad subs providing the  
20 SEPTA Reading station?

21 A. The value shown in Amtrak is related to the  
22 remainder of the 25 cycle equipment that is used to serve  
23 Amtrak.

24 Q. Let's look then at line 11, "Land and Land Rights"  
25

1 for railroad subs. Again, no dollars have been allocated to  
2 SEPTA under this account.

3 Are there no land and land right railroad subs  
4 associated with the service to SEPTA or SEPTA Reading?

5 (Witness perusing documents and conferring with  
6 PECO personnel.)

7 A. That entry is also related to the 25 cycle  
8 equipment.

9 Q. My question is whether any land and land rights  
10 associated with railroad substations are utilized to provide  
11 service to SEPTA or SEPTA Reading. It would imply that there  
12 are none if no costs have been allocated there, and I would  
13 just like verify if there indeed are none.

14 A. Those lines that were used in the Amtrak line,  
15 those accounts were direct assignments strictly of the  
16 25 hertz equipment that the company still owned.

17 Now, other than a few things like that, the entire  
18 dollars assigned to SEPTA and Amtrak were as a result  
19 of an analysis of the distribution system itself, and they  
20 appear, as you can see, throughout the cost allocation or  
21 at least on several pages of it marked with an asterisk.

22 I guess the bottom-line answer to your question is:  
23 no assignment of dollars was made on that line to SEPTA.

24 Q. And the same is true, is it not, of Account 362,  
25 "Station Equipment"?

1 A That is correct. The dollars that are in there is  
2 also a direct assignment of the 25 cycle equipment.

3 In other words, that line was used merely to insert  
4 the 25 cycle equipment for Amtrak.

5 Q When you performed your specific allocation of  
6 the distribution system, were there items included in that  
7 allocation which would have normally been included in  
8 Accounts 360 through 362 and just weren't specifically  
9 broken out into those accounts for SEPTA?

10 A No. You can see that the total on those lines  
11 is also the 151 and the 17 and the 50, and those lines, as  
12 I indicated, were merely used as a convenient place to  
13 include the 25 cycle equipment.

14 Q Would you turn back to page 12b of the cost study.

15 A Perhaps before we leave that page, Mr. Kleppinger,  
16 you can see that on other lines, there are costs in those  
17 accounts allocated to SEPTA.

18 Q I understand, but I was focusing on the railroad  
19 subs.

20 A Fine.

21 Q I think what you're telling me is that there are  
22 no railroad substation costs under these accounts which are  
23 utilized to serve SEPTA or SEPTA Reading.

24 A That's right. You referred to page 12 --

25 Q 12b. Again, under Account 589, you have an item

"Rent RR."

1 A. Yes.

2 Q. Does the "RR" there stand for railroad?

3 A. Yes, it does.

4 Q. For SEPTA there has been no cost assignment; is  
5 that correct?

6 A. That's right.

7 Q. Are there no rental costs associated with service  
8 to SEPTA?

9 A. That's correct. The value shown for Amtrak is  
10 associated with the cost at Metuchen.

11 Q. And I also noted that at Accounts 590, 591 and  
12 592 on this page, there have been allocations to Amtrak  
13 and none to SEPTA.

14 Do I take it once again that this refers to your  
15 prior response that there are no railroad substations  
16 providing service to SEPTA or SEPTA Reading?

17 A. As I indicated earlier, the values shown in  
18 there for Amtrak are specifically related to the 25 cycle  
19 system that the company still owns and operates.

20 In the case of SEPTA -- at least in the case of  
21 Reading -- they own and operate the 25 cycle system.

22 Q. Now, we discussed Account 361 a little earlier.  
23 I would like you to turn back to page 20b.

24 (Witness complying.)

25

1 Q You've already indicated you've directly assigned  
2 \$17,000 from Account 361 to Amtrak. Have you also directly  
3 assigned the corresponding depreciation reserve for this  
4 account?

5 A Yes.

6 Q And is that shown on page 23b, line 9?

7 A Line 9 shows the value for Account 361. Is that  
8 the account you were talking about?

9 Q Yes. And that figure also is \$17,000; is that  
10 correct?

11 A Yes.

12 Q So in other words, for Amtrak there has been zero  
13 net investment related to Account 361?

14 A Yes.

15 Q And is the same true for Account 362?

16 A Yes.

17 Q No net investment has been directly assigned to  
18 Amtrak?

19 A That is correct.

20 Q Would you look now at page 22 of the cost study  
21 and focus on Account 370, "Meters and Installation." Am I  
22 correct that you have allocated \$16,000 of meters and  
23 installations to Amtrak, taking line 10 on page 22b?

24 A Yes.

25 Q How many meters are associated with that cost?

1 A. Amtrak has seven delivery points. I don't think  
2 I know the exact number of meters. Hold it for just a  
3 second.

4 (Witness conferring with PECO personnel.)

5 A. I believe that represents 15 meters.

6 Q. Are you generally familiar with what type of  
7 meters those are?

8 A. Only generally in the sense that they are demand  
9 recording meters and kilowatt-hour meters.

10 Q. You don't know if they are magnetic tape recording?

11 A. I believe for Amtrak they are all magnetic tape  
12 recorders.

13 Q. Now, you've also allocated the depreciation  
14 reserve associated with these meters, have you not?

15 A. Yes.

16 Q. And that is reflected on page 24b at line 8?

17 A. Yes.

18 Q. And that figure is \$48,000?

19 A. Yes.

20 Q. If the depreciation allocation is \$48,000 and  
21 the gross plant allocation was \$16,000, wouldn't that mean  
22 that a negative net investment has been allocated to Amtrak  
23 for meters? And I derived that by taking the \$16,000 from  
24 page 22b and then subtracting the depreciation of \$48,000.

25 A. Yes.

MR. KLEPPINGER: Thank you, Mr. Sundermeir. I have no further questions. Thank you, Your Honor.

JUDGE MATUSCHAK: Any further cross-examination of this witness?

MR. RYAN: Yes.

JUDGE MATUSCHAK: You may proceed.

CROSS-EXAMINATION

BY MR. RYAN:

Q Good afternoon, Mr. Sundermeir.

A Good afternoon.

Q My name is Bernard Ryan. I am counsel for Pennsylvania Food Merchants Association, and I will have very little to ask you today. So let's see if we can do it quickly.

At page 11 of your prepared testimony, I think it begins around line 7 or 8, you make the statement "Use of this relationship in establishing the demand component of cost recognizes that customer loads become more coincident as load factor increases."

Do you see that statement?

A Yes.

Q Isn't that so because at 100 percent load factor, there really would be no diversity at all?

A That's correct.

Q Doesn't that statement, though, assume that the

1 customer's peak demand or his maximum demand will occur during  
2 the company's on-peak hours?

3 A. Not necessarily. This relationship is established  
4 by the Barry curve, which he developed the relationship, which  
5 has been subsequently revised, between load factor and  
6 coincidence factor.

7 The way that is done is to look at groups of customers,  
8 and the way that analysis is done, it really doesn't look  
9 at values differentiated by time.

10 Q. Let me pursue it for just a minute. What are the  
11 on-peak hours for PECO's system?

12 A. 8 a.m. to 8 p.m., Monday through Thursday; 8 a.m.  
13 to 4 p.m. on Friday excluding holidays.

14 Q. If a customer operated a store from 8:00 in the  
15 morning to 8:00 during the weekdays when that is your peak  
16 period and his demand was constant at 300 kw, would you agree  
17 with me that his monthly load factor, if we assume 730 hours  
18 in an average month and assume one holiday, his load factor  
19 would be 34 percent? Would you accept that figure subject  
20 to check?

21 A. You're saying he only uses energy during the  
22 on-peak period and he uses no energy at all during low peak  
23 periods?

24 Q. That's correct.

25 A. Then his load factor would be approximately --

Q. About 34 or 35 percent?

1 A. Approximately that, yes.

2 Q. If that store operator then decided he was going  
3 to change his operation to a 24-hour operation and he  
4 continued to use at the same level -- in other words, the  
5 same demand, same load -- what would his load factor go to  
6 then?

7 A. If he used the same demand every hour of the  
8 month, his load factor would be 100 percent.

9 Q. So it would be at 100 percent?

10 A. Yes.

11 Q. Therefore, would that customer's load become  
12 more coincident as load factor increased from 34 percent  
13 to 100 percent? It was already coincident, wasn't it?

14 A. That's right, for that customer. You've got to  
15 remember that these curves are developed on averages of  
16 actual data; and the way the curve is developed, it's  
17 developed by grouping customers in ascending load factor.  
18 So that a point on the curve of your second example, he  
19 would be established or at least be in the group of customers  
20 that would establish a point near the 100 load factor  
21 customer, while in the earlier case he would be further down,  
22 so to speak, on the load factor curve.

23 MR. RYAN: My colleagues have covered the area so  
24 well, I have no further questions, Your Honor.

1 JUDGE MATUSCHAK: Thank you. Anything further of this  
witness?

2 MR. FORT: I have a few questions, Your Honor, if I  
3 may.

4 JUDGE MATUSCHAK: Very well.

5 CROSS-EXAMINATION

6 BY MR. FORT:

7 Q Mr. Sundermeir, I am Tom Fort of Reed, Smith,  
8 Shaw & McClay. My colleague here is Mr. Mike Browne. We  
9 represent Amtrak and SEPTA.

10 A Yes.

11 Q I have a few questions in regard to your develop-  
12 ment of the A-1 calculator insofar as it applies to SEPTA  
13 and Amtrak.

14 In developing that factor for SEPTA and Amtrak, do  
15 I understand you took their total demand at the time of the  
16 4-CP peaks, their contribution to the 4-CP peaks?

17 A Yes.

18 Q Did you include in their total demand the power  
19 which they receive from Safe Harbor?

20 A There is an interchange at Perryville and  
21 Thorndale from which energy is provided from Safe Harbor.  
22 It is also provided when needed by Philadelphia Electric  
23 Company at those points, and the demands at those points  
24 were included in those demands, yes.

25

1 Q Is it not a fact, Mr. Sundermeir, that on the  
2 average, between 30 to 40 percent of the power used by  
3 Amtrak comes through the Perryville and Thorndale contact  
4 points or metering points?

5 A I don't know offhand how much is provided at  
6 those points.

7 Q Is it fair to say that you did not make any  
8 determination of the percentage of the power that you took  
9 into consideration at the time of the 4-CP peaks that was  
10 coming through Perryville and Thorndale?

11 A We did take into account the power that was coming  
12 through those points at that time.

13 Q My question was: did you determine what percent-  
14 age of the power assigned to Amtrak at those moments was  
15 coming through those points?

16 A At those moments?

17 Q Yes.

18 A I suppose it's a calculation I could make, but  
19 my only interest was the total energy used by Amtrak at those  
20 particular times.

21 Q Do you have any reason to dispute my statement  
22 that approximately 50 percent of the power being used by  
23 Amtrak at the time of the 4-CP peaks came through the  
24 Perryville and Thorndale metering points?

25 A I can't say that I honestly know. It is something

1 that I could check and look up, but I did not make any  
2 particular analysis of the demand at each of the billing  
3 points, because, quite honestly, I don't need that information  
4 for doing my cost study. I am interested in the total  
5 demand; no more than I would be interested in any other  
6 customer that has more than one delivery point.

7 Q. Would you please advise us at some appropriate  
8 time, if you can do so easily, what percentage of the power  
9 being used at Amtrak at those moments was coming through  
10 Perryville and Thorndale?

11 A. We would be happy to provide that.

12 Q. Is it not a fact that the power that is provided  
13 at Safe Harbor is really not handled in any way by PECO,  
14 but rather merely metered at these two points?

15 A. At times when the load at Perryville and  
16 Thorndale is provided from Safe Harbor, that's true. However,  
17 Philadelphia Electric Company also has to supply that energy  
18 at various other times.

19 There is a flow in both directions at those metering  
20 points.

21 Q. But to the extent that the power flows from  
22 Safe Harbor into the PECO service area, PECO does not handle  
23 the power; is that correct?

24 A. Those connections are considered as interchange  
25 points on our system just like any other interchange point

and are, in fact, included as part of our system demand.

1 Q Fine. I understand that. But isn't it a fact  
2 that the power flows along the Amtrak catenaries, it flows  
3 through Thorndale and Perryville where it is metered, and  
4 then continues on along the Amtrak catenaries; is that  
5 correct?

6 A The flow can be in either direction at that  
7 point.

8 Q To the extent that it goes the direction I have  
9 described, is my statement fair?

10 A To the extent that it is flowing at a particular  
11 time from Safe Harbor into the system, yes.

12 Q I want to make sure that my request for informa-  
13 tion is absolutely clear, Mr. Sundermeir. It relates to  
14 the time of the system peak. What percentage of the power  
15 going to Amtrak at the time of the four system peaks was  
16 coming from Safe Harbor into the interchanges at Thorndale  
17 and Perryville? Okay?

18 I want not only the percentage, but the actual kw, too,  
19 please.

20 I just have one other question, really, Mr. Sundermeir.  
21 In the course of developing statistics for this proceeding,  
22 have you made a computation as to what difference it would  
23 make to the proposed HT rates if there were not separate  
24 SEPTA and Amtrak classes?  
25

1 A. No.

2 MR. FORT: No further questions.

3 JUDGE MATUSCHAK: Any other questions?

4 MR. SQUIRES: Just a few questions, Your Honor.

5 CROSS-EXAMINATION

6 BY MR. SQUIRES:

7 Q. Mr. Sundermeir, my name is Alan Squires. I  
8 represent the Pennsylvania Business Utility Users Group. I  
9 just have a few questions for you this afternoon.

10 In developing WFS-1, the unit costs shown on page 39  
11 for the HT service are flat in that there is no structuring,  
12 for example, of the three energy rate blocks; is that  
13 correct?

14 A. As shown on page 39, all we are doing is develop-  
15 ing the unit costs. Those costs are then used to develop  
16 the cost curve, and the cost curve is used to develop the  
17 pricing of the energy blocks.

18 Q. But as developed by the cost of service methodol-  
19 ogy, there is no differential?

20 A. I'm sorry; I don't know what you mean by  
21 differential. Between what?

22 Q. In the three energy rate blocks.

23 A. No, there is differential in the three energy  
24 rate blocks. For Rate HT, there is in existing rates and  
25 there is in proposed rates.

1 Q But those are not developed in the cost alloca-  
2 tion?

3 A They are developed from data that is developed in  
4 the cost allocation. As I think we talked about a little  
5 earlier, the values that you see on page 39 or are referred  
6 to on page 39 are then used to develop a cost curve. That  
7 cost curve is used to develop the energy block pricing; and  
8 for Rate HT, the rates that we have filed are 9.64 cents in  
9 the first block, 6.68 cents in the second block and 3.75 cents  
10 in the third block. So they are not the same.

11 Q If you will refer to your response in  
12 Staff-DR-RSC-3, please.

13 A Yes.

14 Q You provided several computer printout sheets which  
15 you've indicated represent the workpapers supporting the  
16 present and the proposed rate curves and cost curves shown  
17 in WFS-1; is that right?

18 A The first attachment I'm looking at shows the  
19 data used for development of the cost curve and the develop-  
20 ment of the pricing for Rate HT.

21 Q The total cost to serve data points for the  
22 curve are shown on page 1 under the column headed "Total  
23 Cost to Serve 100;" is that right?

24 A That is correct.

25 Q Would you tell me the origin and purpose of the

data in column 2 headed "F(M)"?

1 A. Yes. That's really the data that is obtained  
2 from the Barry curve. That shows the relationship between  
3 load factor and coincidence factor, the load factor being  
4 in the first column.

5 Q. What is the method of calculation to arrive at  
6 the factors shown in column 2?

7 A. That is a rather extensive analysis of many  
8 customers -- I don't know -- let's say a thousand or more  
9 customers to develop the Barry curve, which is the relation-  
10 ship between load factor and coincidence factor.

11 Q. How often do you make that calculation?

12 A. Not very often. If my memory serves me right,  
13 Mr. Barry developed that relationship I would say back in  
14 the late '30s or early '40s; and since that time, the  
15 relationship has been reestablished or revised several  
16 times. The most recent time I would say was approximately  
17 in 1975 or 1976.

18 It generally shows that there really isn't much of  
19 a change from one period to the next.

20 Q. If you will refer to PECO Exhibit IV-D-2, the  
21 Question 2 response, "The company has furnished numerous  
22 printouts of the effect of proposed rates on monthly billing."  
23

24 Would you please look at the four sheets prepared for  
25 the HT class?

A. Yes.

1 Q Correct me if I'm wrong, but I interpret the data  
2 as follows: for a customer taking 100 kw of power monthly,  
3 the range of revenue increase anticipated is between  
4 59.5 and 22.1 percent depending upon the individual's load  
5 factor; is that right?

6 A. That is correct.

7 Q Now, since the percent increase for the HT class  
8 as a whole is 29.64 percent, doesn't this mean that a customer  
9 taking power at less than 400 hours use will incur a rate  
10 increase higher than the class average?

11 A. Yes, that's what this would show.

12 Q Which measurement of demand, actual or billable  
13 kw, is used to develop the demand related cost allocators  
14 used in WFS-1?

15 A. The cost allocation values are actual demand.

16 Q Which measurement of demand, actual or billable  
17 kw, is used as the demand cost divisor on page 39 of WFS-1?

18 A. The cost divisor on page 39 is in one case the  
19 class peak demand, annual class peak demand, at meters, and  
20 in the other case, it's the annual contribution of the class  
21 to the peaks at meters.

22 Q Is that actual or billable? By meter, you mean  
23 what?

24 A. We are talking about the conglomerate, if you  
25

1 will, demand of the entire class. None of those demands  
2 would necessarily have anything at all to do with the  
3 customer's bill.

4 Q Are actual or billable kwh used in WFS-1 for the  
5 energy cost divisor?

6 A The energy cost divisor, that's actual energy  
7 use.

8 MR. SQUIRES: Thank you. I have no further questions.

9 MR. WERSAN: Your Honor, if I may, I have some cross  
10 for Mr. Sundermeir. I would request that I do it tomorrow  
11 morning.

12 JUDGE MATUSCHAK: Yes. I think this might be -- is  
13 there anyone else who has any short cross-examination?

14 MR. KLEPPINGER: Your Honor, just a preliminary  
15 matter. I neglected to move my exhibits. I would like to  
16 move PAIEUG Exhibits 2, 3 and 4 at this time.

17 MR. MacGREGOR: No objection.

18 JUDGE MATUSCHAK: The exhibits are admitted in  
19 evidence.

20  
21 (Whereupon, the documents  
22 marked as PAIEUG Exhibits  
23 Nos. 2, 3 and 4 were received  
24 in evidence.)

25 MR. SELKOWITZ: Your Honor, you asked us this  
morning to see if we could work out this question of  
Dr. Perl's returning. I have proposed a stipulation of an

1 exhibit to Mr. MacGregor, and he will advise us tomorrow  
2 whether that is acceptable to the company. If so, we won't  
3 be requiring Dr. Perl's presence for any additional cross.

4 JUDGE MATUSCHAK: Very well.

5 You will have the witness back tomorrow with  
6 Mr. Williams?

7 MR. MacGREGOR: Yes. Mr. Sundermeir will return  
8 tomorrow morning, and then we will proceed to Mr. Williams.

9 JUDGE MATUSCHAK: Very well.

10 We will adjourn at this time until tomorrow morning  
11 at 10:00..

12 (Witness temporarily excused.)

13 (Whereupon, at 4:40 p.m., the hearing was adjourned,  
14 to be reconvened at 10:00 a.m., on Tuesday, January 7, 1986,  
15 in Philadelphia, Pennsylvania.)  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

C E R T I F I C A T E

1 We hereby certify, as the stenographic reporters,  
2 that the foregoing proceedings were taken stenographically  
3 by us, and thereafter reduced to typewriting by us or under  
4 our direction; and that this transcript is a true and  
5 accurate record to the best of our ability.  
6

7 COMMONWEALTH REPORTING COMPANY, INC.

8  
9 By: Robert J. Stonaker  
Robert J. Stonaker

10  
11 By: Sandra Milus-Brown  
12 Sandra Milus-Brown  
13  
14  
15  
16

17 \*\*\*  
18  
19  
20  
21  
22  
23  
24  
25