

Trial Staff Statement-DPD2  
Witness: D. P. Dougherty  
Date: 3/17/86 Hbg  
R-850152 JK

**RECEIVED**

**MAR 19 1986**

**SECRETARY'S OFFICE**  
Public Utility Commission

PENNSYLVANIA PUBLIC UTILITY COMMISSION

v.

PHILADELPHIA ELECTRIC COMPANY

Docket No. R-850152

**DOCKETED**

**MAR 24 1986**

Surrebuttal Testimony  
of  
Dennis P. Dougherty

**DOCUMENT  
FOLDER**

Concerning: Quantification of the Cost Resulting from  
Limerick Unit 1 in not Meeting the in-service  
date of April 1981

1 Q. Are you the same Dennis P. Dougherty who previously has  
2 offered direct testimony concerning the quantification  
3 of costs associated with Limerick Unit 1 not meeting  
4 the April, 1981 in-service date?

5 A. Yes.

6

7 Q. What is the purpose of your surrebuttal testimony?

8 A. The purpose of this testimony is to address certain  
9 contentions raised by the Company with respect to the  
10 methodology used by Staff to quantify the costs associated  
11 with Limerick Unit 1 not meeting the April, 1981  
12 in-service date. The Company's position is presented  
13 primarily in PECO Statement No. 4A, Rebuttal Testimony  
14 of James J. Clarey.

15

16 Q. What is the first area of disagreement presented by  
17 Mr. Clarey in PECO Statement No. 4A?

18 A. The first and most significant issue addressed by  
19 Mr. Clarey is the use of April 1981 for the unit's  
20 in-service date. Mr. Clarey apparently believes that  
21 it is Staff's opinion that Limerick Unit 1 should have  
22 been completed and in service by April 1981. The  
23 thrust of his rebuttal testimony is that this in-service  
24 date was not achievable because of physical, financial  
25 and regulatory constraints. This same contention also  
26 is contained in the rebuttal testimony of other PECO  
27 witnesses, such as Boyer (PECO Stmt. 1A), Sproat (PECO

1 Stmt. 6A), Helwig (PECO Stmt. 5A), Hill (PECO Stmt. 18D)  
2 and Love/Kononentz (PECO Stmt. 8A).

3

4 Q. Is this contention relevant or accurate?

5 A. Absolutely not. These various pieces of rebuttal  
6 testimony do not accurately reflect Staff's position.  
7 The fact is that nowhere in my testimony or that of  
8 Staff's Limerick witness Robert Rosenthal is there any  
9 statement that Staff believes that Limerick Unit 1  
10 could have been in service by April 1981. See also, my  
11 responses upon cross and redirect examination on  
12 February 6, 1986 at Tr. 2665, 2703.

13 As explained in more detail by Mr. Rosenthal in  
14 his surrebuttal testimony, the April 1981 in-service  
15 date was incorporated in my analysis because it was the  
16 company-projected in-service date in effect when PECO  
17 announced its 1976 deferral. This is discussed - as an  
18 uncontroverted fact - in the Commission's I-8010034  
19 order referenced in my direct testimony. To put it  
20 another way, the April 1981 date was the last  
21 completion date found prudent by the Commission.

22

23 Q. What was the purpose of your direct testimony?

24 A. As stated there, the purpose of my direct testimony was  
25 to quantify the cost resulting from Limerick Unit 1 not  
26 meeting the company's announced in-service date of  
27 April 1981. In other words, I simply identified the

1 costs associated with the 1976 and 1978 delays found  
2 imprudent by the Commission. I made no recommendation  
3 as to what the appropriate cost of Limerick #1 is or  
4 when it should have been completed.  
5

6 Q. Please discuss the other criticisms of your analysis  
7 made by the company.

8 A. PECO witness Clarey, on page 23 of his rebuttal testimony,  
9 cites two problems associated with reliance on actual  
10 data only up through October, 1984. The first problem  
11 is that of not including the direct costs incurred  
12 after October, 1984 when determining the amount of  
13 reasonable AFUDC recoverable by the Company. Mr. Clarey,  
14 states at p. 23 that failure to consider these post  
15 October, 1984 direct costs significantly understates  
16 the reasonable amount of AFUDC recoverable by the  
17 Company.  
18

19 Q. Do you agree with this contention?

20 A. Yes and no. It is correct that had Staff been able to  
21 work with total project expenditures up through February,  
22 1986 rather than expenditures only up through October,  
23 1984 the quantified costs would have been different  
24 than those presented in Staff Statement DPD-4. It also  
25 is correct that the October, 1984 cutoff results in an  
26 overstatement to the AFUDC assigned by Staff as being  
27 associated with the construction delays. However, what

1 Mr. Clarey fails to mention is that the October, 1984  
2 cutoff results in an understatement to Staff's direct  
3 costs assigned to the construction delays. While the  
4 direct cost understatement does not completely offset  
5 the AFUDC overstatement the problem associated with  
6 using the October, 1984 cutoff is not as significant as  
7 indicated by Mr. Clarey. As shown on Staff  
8 Exh. DPD-1A, Schedules 1 and 2, the direct cost  
9 understatement is approximately \$18 million and the  
10 AFUDC overstatement is approximately \$30 million for a  
11 net difference of \$12M.  
12

13 Q. You mentioned earlier that PECO witness Clarey had two  
14 criticisms of your analysis. What is the other  
15 criticism he discussed?

16 A. Mr. Clarey states that the post April 1981 recoverable  
17 direct costs should be spread over a 57 month period  
18 rather than the 42 months utilized by Staff to reflect  
19 the pre-commercial testing period. This longer  
20 compounding period results in a greater amount of  
21 recoverable AFUDC and a lower cost of delay than that  
22 calculated by Staff.  
23

24 Q. Do you agree that this is a valid criticism?

25 A. No. I agree that there is usually some period required  
26 between fuel load and commercial operation; I am not  
27 convinced that there would have been a 15-month lag had

1 construction proceeded in accordance with the announced  
2 schedule. A comparison between the I-80100341  
3 in-service date of April 1981 and Schedule 33, Sheet 1  
4 of 3 of PECO Statement No. 8, indicates that only a  
5 6 month lag (10/80-4/81) between fuel load and  
6 commercial operation was expected by the Company prior  
7 to announcing the 1976 delay.  
8

9 Q. Are there any other issues raised by PECO  
10 witness Clarey that you wish to address.

11 A. Yes. Mr. Clarey makes the additional assertions that  
12 my analysis is flawed because (1) it assumes uniform  
13 monthly expenditures and (2) fails to reflect the  
14 capitalization of PURTA taxes.  
15

16 Q. Is his first contention valid?

17 A. No. While it is correct that my analysis does allocate  
18 the revalued costs evenly over a 42-month period, it  
19 must be remembered that the analysis is based on the  
20 comparison between the actual amount and pattern of  
21 project to date expenditures as of April 1981 and  
22 October 1984. It was only the post April 1981  
23 reasonable direct costs that were distributed evenly  
24 over a 42-month period. Since this amount was then  
25 added to the actual amount of AFUDC accrued up through  
26 April 1981, Staff's AFUDC calculation has imbedded in  
27 it, the project's actual cash flow.

1 Q. What is Mr. Clarey's second contention concerning the  
2 PURTA tax?

3 A. If I understand his testimony at p. 24 of his rebuttal  
4 testimony, Mr. Clarey is saying that if the plant had  
5 been completed in April 1981, the amount of PURTA tax  
6 capitalized and the associated AFUDC would have been  
7 greater. He notes that these taxes have been expensed  
8 since April 1982.

9 The reasons are that (1) the absolute dollars of  
10 PURTA tax would have been greater as of April 1981, as  
11 the company's investment would have been greater and  
12 (2) the percentage of PURTA taxes capitalized would  
13 have been higher since beginning in April 1982 the  
14 company began the expensing of PURTA taxes. Thus, had  
15 LGS been completed in April 1981, 100% of the PURTA  
16 taxes would have been capitalized, rather than only a  
17 part of them.

18  
19 Q. Please comment.

20 A. There are three facts that it is important to remember.  
21 First, my analysis did not include these taxes one way  
22 or the other, since as shown on Staff Exh. DPD-30  
23 attached to my direct testimony, the amount of over-  
24 heads and taxes, and therefore the accrued AFUDC, was  
25 insignificant in relation to my total quantified cost.

26 Second, PECO has been expensing this tax since  
27 1982, and recovering the expense via the State Tax

1 Adjustment Surcharge, even though the investment giving  
2 rise to the tax expense is not used or useful and has  
3 not yet been included in rate base.

4 Third, as is established in the testimony  
5 submitted by me and other witnesses in this proceeding,  
6 excess costs resulted from the 1976 and 1978 delays  
7 found imprudent by the Commission. Since these  
8 excessive costs were included in PECO's investment, the  
9 amount of PURTA tax expense has been inflated.

10

11 Q. Does this conclude your surrebuttal testimony?

12 A. Yes.

13

14

15

16

17

18

19

20

21

22

23

24

25

26

27

Determination of Post  
October 1984 Reasonable Direct Costs Applicable  
To Unit 1 and Common Plant

	<u>Unit 1</u>	<u>Common</u>	<u>Total Unit 1 and Common</u>
Total Direct Costs Incurred Subsequent to October 1984 (A)	\$133.1	\$70.1	\$203.2
Percent of Total Direct Costs Associated with Not Meeting April 1981 In-Service Date (Based on costs Incurred April 1981 through October 1984-See Schedule 3)	8.94%	8.94%	8.94%
Cost of Not Meeting April 1981 In-Service Date Applicable to Post October 1984 Direct Costs (B)	\$11.9	\$6.3	\$18.2
Total Reasonable Post October 1984 Direct Costs (A)-(B)	\$121.2	\$63.8	\$185.0
Number of Months (May 1981 Through October 1984)	42	42	42
Assumed Monthly Expenditures Needed to Complete Unit 1 and Common Plant by April 1981	\$2.885714	\$1.519048	\$4.40762

Calculation of Incremental AFUDC  
On Reasonable Post October 1984 Direct Costs  
Unit 1 and Common

Period	Assumed Monthly Expense	No. Of Months	Total Construct. Costs	Prior Per. Const. Costs	Compound Interest	Total Interest Base	Applicable Interest Rate	Time Factor	Increment AFUDC Calc.
1/77 Thru 12/30/77	4404762	2	8809524	\$0	\$0	\$8,809,524	0.087	0.166666666667	\$127,738
/78 Thru 6/30/78	4404762	6	26428572	\$8,809,524	\$127,738	\$35,365,834	0.071	0.5	1,255,487
/78 Thru 12/30/78	4404762	6	26428572	35,365,834	1,255,487	\$63,049,893	0.073	0.5	2,301,321
/79 Thru 6/30/79	4404762	6	26428572	63,049,893	2,301,321	\$91,779,786	0.074	0.5	3,395,852
/79 Thru 12/30/79	4404762	6	26428572	91,779,786	3,395,852	121,604,210	0.075	0.5	4,560,158
/80 Thru 12/30/80	4404762	6	26428572	121,604,210	4,560,158	152,592,940	0.075	0.5	5,722,235
/80 Thru 12/30/80	4404762	6	26428572	152,592,940	5,722,235	184,743,748	0.082	0.5	7,574,494
/81 Thru 4/30/81	4404762	4	17619048	184,743,748	7,574,494	209,937,289	0.083	0.333333333333	5,808,265
		42	185,000,004	657,945,936	24,937,285	867,883,225			30,745,550

Limerick Unit 1 and Common - Calculations of  
Percentage of Direct Costs, Incurred April 1981 through October 1984,  
Applicable To Not Meeting April 1981 In-Service Date

---

Total Direct Costs, April 1981 through October 1984, Associated With Not Meeting April 1981 In-Service Date		<u>\$192,735,190</u>
Total Direct Costs, Project to Date at October 1984, for Unit 1 & Common	+	<u>2,155,000,000</u>
Percentage of Direct Costs Associated with not meeting April 1981 In- Service Date	=	<u>8.94%</u>

Limerick Unit 1 and Common - Calculations of  
Percentage of Direct Costs, Incurred April 1981 through October 1984,  
Applicable To Not Meeting April 1981 In-Service Date

---

Total Direct Costs, April 1981 through  
October 1984, Associated With Not  
Meeting April 1981 In-Service Date

\$192,735,190

Total Direct Costs, Project to Date  
at October 1984, for Unit 1 &  
Common

+ 2,155,000,000

Percentage of Direct Costs Associated  
with not meeting April 1981 In-  
Service Date

= 8.94%

PENNSYLVANIA PUBLIC UTILITY COMMISSION

v.

PHILADELPHIA ELECTRIC COMPANY  
DOCKET NO. R-850152

Professional Qualifications

of

Gary A. Fawcett, CPA

I. Current Employment:

I am presently employed as an Auditor III by the Pennsylvania Public Utility Commission. As an Auditor III, I am responsible for being in charge of the field work on audits of Class A utilities. The type of audits we generally perform includes: Energy Cost Rate (ECR), Gas Cost Rate (GCR), and Continuing Property Record (CPR). Since being employed by the Commission in September, 1978, I have been involved in approximately 30 audits including the following:

Philadelphia Electric Company	-	ECR, GCR
Pennsylvania Power & Light	-	ECR
Pennsylvania Gas & Water	-	GCR
Metropolitan Edison Co.	-	ECR
UGI Corp.	-	ECR, CPR
Penn Fuel Gas, Inc.	-	GCR, CPR
Philadelphia Suburban Water	-	CPR

II. Prior Work Experience:

Prior to working for the Commission, I was employed as an accountant for the Montgomery County Mental Health/Mental Retardation Program.

III. General Education:

1976 - Bachelor of Science in Accounting from West Chester State College,  
West Chester, PA.

1974 - Associate in General Studies, from Montgomery County Community  
College, Blue Bell, PA.

3/17/86

RECEIVED

MAR 19 1986

SECRETARIES OFFICE  
Public Utility Commission

BEFORE THE  
PENNSYLVANIA PUBLIC UTILITY COMMISSION

PENNSYLVANIA PUBLIC UTILITY  
COMMISSION :

v.

Docket No. R-850152

PHILADELPHIA ELECTRIC COMPANY :

DOCKETED  
MAR 24 1986

COMMISSION TRIAL STAFF EXHIBIT NO. 4

Documents from the record of Limerick Nuclear  
Generating Station Investigation, Docket No.  
I-80100341 incorporated into the record of the  
instant proceeding by Order of the Presiding  
Officer, entered December 20, 1985.

DOCUMENT  
FOLDER

TABLE OF CONTENTS

	<u>Page</u>
Hearing, March 25, 1981, Emil Kasum (PECO) Transcript Excerpt . . . . .	1
Hearing, March 31, 1981, Joseph F. Paquette, Jr. (PECO) Transcript Excerpt . . . . .	6
Hearing, September 16, 1981, Kenneth G. Lawrence (PECO) Transcript Excerpt . . . . .	87
Direct Testimony of Donald L. Birx (Commission Staff DLB-1), Excerpt . . . . .	90
Exhibit to Birx Testimony, Schedules 1 and 4 . . . . .	97
Direct Testimony of Richard E. Nellis (Commission Staff REN-1), Excerpt . . . . .	100
Exhibit to Nellis Testimony, Schedule 2 . . . . .	103
Rebuttal Testimony of Donald H. Muth (Commission Staff DHM-2) . . . . .	106
Exhibit to Muth Testimony . . . . .	114
Direct Testimony of Richard A. Rosen (OCA Statement 1), Excerpt . . . . .	120
Errata Sheet . . . . .	126
Rebuttal Testimony of Richard Rosen (OCA Statement 1A), Excerpt . . . . .	129
Testimony of Vincent S. Boyer, (PECO Statement 1B) . . . . .	136
OCA Exhibit No. 6, IR-2, 8-12 . . . . .	158
OCA Exhibit No. 20, IR-2, 1-3 . . . . .	164
OCA Exhibit No. 23, Tr-1, 7 . . . . .	166
Appendix A to Lawrence Statement 11B (PECO) . . . . .	168
Initial Decision, ALJ Klovekorn, March 26, 1982, Excerpt . . . . .	172

COMMONWEALTH OF PENNSYLVANIA  
PUBLIC UTILITY COMMISSION

Limerick Nuclear Generating Station  
Investigation  
Further Hearing

Docket No.  
I-80100341

Pages 178 through 311.

Hearing Room 1  
State Office Building  
Broad and Spring Garden Streets  
Philadelphia, Pennsylvania

Wednesday, March 25, 1981

Met, pursuant to adjournment, at 10:00 a.m.

BEFORE:

JOSEPH J. KLOVEKORN, Administrative Law Judge

APPEARANCES:

WALTER R. HALL, II, Esquire  
BARBARA SCHILBERG, Esquire  
Morgan, Lewis & Bockius  
2100 The Fidelity Building  
123 South Broad Street  
Philadelphia, Pennsylvania 19109  
(For Philadelphia Electric Company)

IRENE A. MCKENNA, Esquire  
Assistant Counsel  
2301 Market Street  
Philadelphia, Pennsylvania 19101  
(For Philadelphia Electric Company)

GREGG C. SAYRE, Esquire  
PUC Trial Staff  
P.O. Box 3265  
North Office Building  
Harrisburg, Pennsylvania 17120  
(For the Public Utility Commission Trial Staff)

1 generation is now more required by improvement of operating  
2 costs than improvement of reliability. I think it is written  
3 in my testimony here somewhere that in a recent DOE study  
4 this comes out very strongly, that because of the high  
5 variation in different fuel prices that reserves as high as  
6 50 and 70 percent in some part of the country, particularly  
7 oil-burning parts of the country, can be utilized economically,  
8 and that there is really nothing magic about a 20 percent  
9 or even a 25 or 30 percent reserve. But that significantly  
10 large parts of the United States can have much higher reserves  
11 and still perform economically for their customers.

12 Q Turning to the specifics of this case, would you  
13 agree that from that kind of an analysis, particularly in  
14 light of the fuel savings, that it makes economic sense to  
15 get Limerick on line as soon as possible?

16 A Yes.

17 Q How long has that been the case?

18 A I would say that we have come to that conclusion  
19 in about the last year and one-half or perhaps two years,  
20 as the price of fuels has spread. It has become much  
21 apparent that Limerick will definitely be a saving to our  
22 customers; Limerick coming on line.

23 Q Wasn't the same true three years ago?

24 A Less so.

25 Q But still a saving?

1 A Less pronounced; it has been a savings, yes, but  
2 much less pronounced.

3 Q Was there any time in the past where the prompt  
4 completion of Limerick would not have provided a saving?

5 A In 1969, which is when I remember that we authorized  
6 Limerick as a company, the basis for the authorization was on  
7 the need for maintaining proper reserves and reliability.  
8 The situation has evolved from that to the point where now  
9 it is required to improve the operating performance of the  
10 company, the cost performance.

11 Q In other words, fuel savings?

12 A Fuel savings.

13 Q Of course, at the same time it is consistent for  
14 a plant to be both a substantial fuel saver and necessary  
15 for reliability?

16 A Yes.

17 Q Was that true all along?

18 A The reliability is always there. It does add to the  
19 reliability. The ability to reduce the cost of operation;  
20 I am not certain where that became a pronounced benefit. It  
21 is a function of what load growth we are prognosticating at  
22 any given time.

23 Another way to answer your question would be to  
24 say that at the time in 1969 and at all times thereafter we  
25 have been checking to determine that Limerick was the best

1 almost as it was spent, and the same thing for building  
2 modifications?

3 A We are getting into such a conjectural sort of  
4 thing that I really feel that I have no expertise to add to  
5 this line of questioning, frankly.

6 MR. HALL: Mr. Sayre, your questions really go  
7 to the rate base treatment of various investments made by the  
8 company. Mr. Kasum as a System Planner is not familiar with  
9 the regulatory process in terms of the rate base inclusion  
10 and exclusion, AFUDC and so forth, and the financial implica-  
11 tions of that, which your question really directs itself to.

12 MR. SAYRE: Let me fine it down a little bit.

13 BY MR. SAYRE:

14 Q Can you think of any substantial capital projects  
15 that would have to be undertaken by the company to control  
16 the peak?

17 MR. HALL: You say "would have to be undertaken."  
18 For what purpose?

19 MR. SAYRE: If the company decided that its most  
20 economic alternative to the problem of generation not being  
21 the same as the forecast peak would be for the company to  
22 work on the peak rather than work on the generation, I would  
23 like the witness to explain if he knows of any substantial  
24 long-term construction projects that would have to be under-  
25 taken by the company, if that alternative were chosen.

439  
446 5  
MR. HALL: If that is in his area of responsibility.

THE WITNESS: Basically, it isn't. Some of our current generating capacity would become almost useless. There would have to be some kind of a replacement there depending to what degree this was exercised.

6 BY MR. SAYRE:

7 Q So is it fair to say that you in your division, in deciding how the company is going to meet the peak, don't look substantially at that kind of alternative? What you look at is what generation the company needs.

11 A That has been the situation, yes.

12 MR. SAYRE: I have no further questions.

13 JUDGE KLOVEKORN: Ms. Bush.

14 MS. BUSH: Your Honor, we have some exhibits, 15 interrogatory responses, that I would like at this time to 16 identify; CA Exhibit 1.

17 I will call off what interrogatories responses 18 they are. The interrogatory responses are all IR-2, and 19 the ones that are included are 1-27, 1-28, 4-1, 4-4, 4-5, 20 4-6, 4-7, 6-15, 7-30, 7-53 and 7-55.

21 We will be throughout the proceeding identifying 22 interrogatory responses in this manner. This is not exhaustive 23 of what we will be putting into the record.

24 JUDGE KLOVEKORN: Without objection, that will 25 be identified as CA Exhibit 1.

COMMONWEALTH OF PENNSYLVANIA  
PUBLIC UTILITY COMMISSION

----- X  
:  
4 Limerick Nuclear Generating Station :  
Investigation : Docket Number  
5 : I-80100341  
6 Further Hearing :  
:  
7 ----- X

8 Pages 485 through 591 Hearing Room 1  
9 State Office Building  
Broad and Spring Garden Streets  
Philadelphia, Pennsylvania

Tuesday, March 31, 1981

Met, pursuant to notice, at 10:00 a.m.

BEFORE:

JOSEPH J. KLOVEKORN, Administrative Law Judge

APPEARANCES:

15 ROBERT H. YOUNG, Esquire  
16 Morgan, Lewis & Bockius  
2100 The Fidelity Building  
17 123 South Broad Street  
Philadelphia, Pennsylvania 19109  
18 (For Philadelphia Electric Company)

RECEIVED  
SECRETARY'S OFFICE  
PUBLIC UTILITY  
COMMISSION  
APR 6 3 16 PM '81

19 IRENE A. MCKENNA, Esquire  
Assistant Counsel  
2301 Market Street  
20 Philadelphia, Pennsylvania 19101  
21 (For Philadelphia Electric Company)

22 GREGG C. SAYRE, Esquire  
PUC Trial Staff  
23 P.O. Box 3265  
North Office Building  
24 Harrisburg, Pennsylvania 17120  
(For the Public Utility Commission Trial Staff)

## 1 APPEARANCES (Continued):

2 IRWIN POPOWSKY, Esquire  
3 1425 Strawberry Square  
4 Harrisburg, Pennsylvania 17120  
5 (For the Office of Consumer Advocate)

6 STEVEN HERSHEY, Esquire  
7 Community Legal Services  
8 Sylvania House  
9 Juniper and Locust Streets  
10 Philadelphia, Pennsylvania 19107  
11 (For CEPA, ACORN and Action Alliance of  
12 Senior Citizens of Philadelphia)

13 EDWARD J. RIEHL, Esquire  
14 McNees, Wallace & Nurick  
15 100 Pine Street  
16 Harrisburg, Pennsylvania 17108  
17 (For Philadelphia Area Industrial  
18 Energy Users Group)

19 PHYLLIS ZITZER  
20 Box 207  
21 Salford, Pennsylvania 18957  
22 (For Limerick Ecology Action)

23 MARVIN I. LEWIS  
24 6504 Bradford Terrace  
25 Philadelphia, Pennsylvania 19149  
(Pro se)

C O N T E N T S

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

<u>WITNESS</u>	<u>DIRECT</u>	<u>CROSS</u>	<u>REDIRECT</u>	<u>RECROSS</u>
Joseph F. Paquette, Jr.	487	---	---	---
By Mr. Young		488	---	---
By Mr. Sayre		528	---	---
By Mr. Popowsky		564	---	---
By Ms. Zitzer		572	---	---
By Mr. Lewis				

E X H I B I T S

<u>NUMBER</u>	<u>FOR IDENTIFICATION</u>	<u>IN EVIDENCE</u>
<u>Philadelphia Electric Company</u>		
Statement No. 9	488	---

P R O C E E D I N G S

1  
2 JUDGE KLOVEKORN: I call to order this hearing in  
3 case number I-80100341, the Pennsylvania Public Utility  
4 Commission's investigation into the Limerick nuclear generating  
5 station.

6 Do we have any preliminary matters this morning?

7 (No response.)

8 JUDGE KLOVEKORN: I believe our witness for today  
9 is Joseph F. Paquette.

10 MR. YOUNG: That's correct.

## DIRECT EXAMINATION

11  
12 BY MR. YOUNG:

13 Q Mr. Paquette, would you give your name and address  
14 for the record?

15 A My name is Joseph F. Paquette, Junior, Philadelphia  
16 Electric Company, 2301 Market Street, Philadelphia.

17 Q Mr. Paquette, have you prepared your testimony for  
18 this proceeding in question and answer form, a form which has  
19 previously been identified as Statement number 9?

20 A Yes, I have.

21 Q If you were to testify today under oath would your  
22 testimony be as is set forth in that statement and would it  
23 be true and correct as of this date?

24 A Yes.

25 JUDGE KLOVEKORN: Before we go any further, I don't

1 believe Mr. Paquette has been sworn.

2 Whereupon

3 JOSEPH F. PAQUETTE, JR.

4 having been duly sworn, testified as follows:

5 BY MR. YOUNG:

6 Q Does that oath apply to the testimony you've already  
7 given?

8 A Yes.

9 MR. YOUNG: If Your Honor please, we would like to  
10 have identified as PECO Statement number 9 Mr. Paquette's  
11 testimony for the purpose of this proceeding.

12 JUDGE KLOVEKORN: Without objection it will be so  
13 identified.

(Whereupon, the document was  
marked as PECO Statement No.  
9 for identification.

14  
15  
16 MR. YOUNG: Mr. Paquette is available for cross-  
17 examination.

18 JUDGE KLOVEKORN: Mr. Sayre?

19 CROSS-EXAMINATION

20 BY MR. SAYRE:

21 Q Good morning, Mr. Paquette.

22 A Good morning.

23 Q I'm sure you know I represent the Trial Staff.

24 A Yes, sir.

25 Q Will Philadelphia Electric be able to finish Limerick on

1 Forecast 5 schedule without some kind of unusual rate treat-  
2 ment, such as interest expense above the line?

3 A Based on current economic factors we probably won't  
4 be able to attract all the capital needed to complete Limerick  
5 unless we are granted an exceedingly high rate of return on  
6 equity or some alternative new rate making technique, such as  
7 CWIP and rate base or the interest adjustment which we have  
8 in the current rate case; something of that magnitude to  
9 allow us to improve our interest coverage ratio and to be able  
10 to attract the capital necessary.

11 Q And if you were not granted such rate treatment,  
12 the equity return that you would require would be something on  
13 the order of 20 percent?

14 A It could be that high. I've not done a recent study  
15 but with interest rates the way they are today, in the area  
16 15 percent for debt, it could well be close to that number, yes

17 Of course, that is not much higher than what we are  
18 requesting in the current electric rate case, which is 16  
19 percent and which I've seen some financial writers recommend  
20 that it should be the goal for utilities in today's market  
21 anyway, we should be shooting for something closer to 20  
22 to properly compensate investors today.

23 Q If you assume that the Commission, for the sake of  
24 this question, grants Philadelphia Electric something in the  
25 neighborhood of 15-and-three-quarter percent return on equity

1 to maybe sliding up towards 16-and-a-half over the next few  
2 years, do you have any opinion as to how much unusual relief  
3 such as CWIP and rate base, that PECO will require in dollar  
4 terms to get the plant built on schedule?

5 A. No, I have not made a study, and furthermore, I  
6 think a critical point is not so much what the Commission allow  
7 us but what we actually earn. There has been a big difference  
8 between those two numbers, as you are probably well aware.  
9 We are never able to earn what the Commission allows us because  
10 primarily, the test year is out of date, we are always at  
11 least 12 to 14 months behind in terms of the noncoincidence of  
12 the test year versus when the rates become effective, even  
13 under the new PUC law.

14 So, we would have to be earning on the order of 16  
15 or 17 percent to really make a difference, as opposed to the  
16 Commission allowing us that much.

17 Q. So that the Commission, under current Commission  
18 rate making treatments, would have to allow you something in  
19 the 20's then?

20 A. Or use a truly future test year, which we have been  
21 endeavoring to do, but unsuccessfully in terms of getting the  
22 test year that we have utilized more up to date in terms of  
23 adjustments beyond the end of the current test year.

24 Q. Is it correct that you are testifying that every  
25 alternative that you have examined to finishing Limerick on

1 schedule will cost the rate payers more than finishing it  
2 on schedule?

3 A Yes, I believe that is true, that all of the alterna  
4 tives that we have studied would cost our rate payers consider  
5 ably more than finishing Limerick on its present schedule.

6 Q So that the least costly alternative, then, is to  
7 have rates of return allowed in the 20's and achieved in the  
8 17 to 18 percent range, or some kind of special rate making  
9 treatment, is that correct?

10 A Yes, that would be -- of course, what you're talking  
11 about is only the special rate making points that we talk  
12 about are just required in the very short interval between  
13 now and 1985 when Limerick would be finished. It's not  
14 required beyond that period, and as a matter of fact, it would  
15 considerably ease the burden of what the customer would have  
16 to pay when Limerick goes in service because if we could get,  
17 for instance, CWIP and rate base while that might increase rate  
18 in the short run, in the long run it would considerably lower  
19 rates because of the lower rate base that a rate payer would  
20 have to support, and over the life of the project it would  
21 result in considerable dollar savings to the consumer and  
22 present a good payoff for the customer.

23 Q But over the next few years isn't it true that you  
24 have informed the Commission in PECO's last annual review that  
25 unless some substantial changes are made in the Commission's

1 rate making policies, PECO is going to have to come in every  
2 year for rate increases?

3 A With today's inflation, it would probably have to  
4 be that we come in every year regardless of whether we get  
5 the new rate making policies or not.

6 Q Would you agree that every postponement of the  
7 Limerick plant has added to its direct construction costs and  
8 AFUDC?

9 A I don't believe I've done an analysis of every  
10 decision in terms of its ultimate impact. There's no doubt  
11 that every time a unit is delayed, generally it results in  
12 more AFUDC under the construction cycle, and you can subject  
13 yourself to additional inflation.

14 That does not necessarily mean, however, that the  
15 final cost of a delayed project is more costly than a project  
16 that would have started later but would have finished ~~at the~~  
17 same time as a delayed project.

18 Q But it will be more costly than a project started  
19 earlier and finished without any delays?

20 A Generally, that's true.

21 Q Did Philadelphia Electric intend, when it was decided  
22 to go ahead with Limerick, to be the sole owner?

23 A Yes, that's true. You're talking about the original  
24 decision back in the late '60's?

25 Q Yes.

1 A Yes.

2 Q When did PECO first start looking for possible joint  
3 owners?

4 A I'm not sure I know the precise date, but it was --  
5 if I recall, it was around three to five years ago; somewhere  
6 in that period that we decided that it might be beneficial  
7 to try to find another utility that, perhaps, we could swap  
8 Limerick with and obtain part of their plant if it was coming  
9 in at a later time or just an outright sale of part of Limerick  
10 either having them buy in or purchase part of the output. It  
11 was roughly in the range of three to five years ago, as I recall.

12 Q That would be 1976 to 1978?

13 A Approximately.

14 Q You're not aware of any such search for joint owners  
15 prior to 1976?

16 A I just don't recall that there was. There could  
17 have been. I just don't have that accurate a memory on that.  
18 I have not been the person who has been actively pursuing a  
19 possible sale.

20 Q Is it correct that all of PECO's prior very large  
21 stations were owned partly by other utilities?

22 A We only have one other station that is partly owned  
23 by another utility, and that's Peach Bottom. All of our other  
24 plants, Eddystone, Cromby, are 100 percent owned by the company  
25 except for our joint ownership in the Keystone project because

1 that's not our plant. That was designed to be a joint plant.

2 Q Keystone, Conemaugh and Salem?

3 A Right.

4 Q In your testimony that the 1976 two year postponement  
5 was desirable from a financial standpoint, are you saying that  
6 PECO actually announced financial constraints as one of the  
7 reasons for postponement at the time of the postponement?

8 A I believe we did, yes. You're talking about the  
9 1976 delay?

10 Q 1976.

11 A Yes.

12 Q Can you refer me to any documents or press releases  
13 where you mention that that was one of the reasons?

14 (Witness perusing documents.)

15 A I believe we put out a press release at that time.  
16 I don't, unfortunately, have it with me. But in addition, we  
17 did put out, in connection with releasing our five year fore-  
18 cast to analysts, which we distributed -- it was dated May  
19 24, 1976 -- it was accompanied by a letter from John Austin  
20 who was then vice president of finance and accounting, where  
21 he did state that, "The company has earned an unsatisfactory  
22 return on investment for several years, our stock continues  
23 to sell below book value," and it says, "The continued large  
24 sales of additional stock under these conditions would, over  
25 time, unacceptably erode the value of our shareholder's

1 investment. Accordingly, planned construction expenditures  
2 for the years 1977 to '80 have been further reduced in this new  
3 forecast by almost 30 percent, or about \$750 million."

4 And I believe the same kind of a message was included  
5 in the press release that was issued at about that same time,  
6 that put the reason for the reduced construction program  
7 primarily on reduced load growth, but also on adverse financial  
8 factors and the inadequate returns being earned by the company.

9 Q When the company postponed Limerick in 1978,  
10 financial constraints were publicly announced then, were they  
11 not?

12 A I believe we did.

13 Q I won't ask for a reference. I will accept your  
14 statement.

15 Is it correct that after 1978 and through 1980 the  
16 expenditures for Limerick were actually continued on the prior  
17 1983 to 1985 schedule?

18 A That's correct.

19 Q So that financial constraints actually did not  
20 require the 1978 postponement?

21 A We were able to budget and obtain the additional  
22 capital required to keep it on the '83/'85 schedule for the  
23 two years involved, and it was really 1978 and 1979 that  
24 required additional expenditures; and those expenditures each  
25 year were only of the magnitude of less than \$20 million per

1 year. So we did not require a significant amount of dollars  
2 in those two years.

3 Where the expected significant savings were going to  
4 be produced were in the years after 1980. That was where we  
5 expected to see the difference between the '83/'85 schedule and  
6 the '85/'87.

7 So it did not cost the company significant amounts  
8 of new capital to keep the Limerick plant on the '83/'85  
9 schedule and, in fact, it was a very worthwhile investment to  
10 make because of the possibility that we could find the means,  
11 the financial means, to keep it permanently on the '83/'85  
12 schedule, depending on the outcome of the various rate cases  
13 that we were then in.

14 Q Are you saying that the old schedule didn't require  
15 any more expenditures than the new schedule for the year 1980?

16 A No, I said that, but I think I was mistaken. It did  
17 require \$20 million more in 1980 and \$18 million -- approximate  
18 \$18 million more -- in 1979.

19 Q The current reason for postponement from the '83/'85  
20 to the '85/'87 schedule is the revised Bechtel forecast, is  
21 that correct?

22 A Would you mind repeating that?

23 Q Is it PECO's position now that the reason for the  
24 postponement from the '83/'85 to the '85/'87 schedule is the  
25 revised Bechtel forecast?

1           A     The reason -- you mean the reason that we say now  
2 we can't keep the '83/'85 schedule?

3           Q     That's right.

4           A     I believe that's -- I think that is a question for  
5 Mr. Boyer, as to all the reasons for the current situation,  
6 which I'm not here to explain.

7           Q     Can you tell me whether Bechtel was made aware of  
8 Philadelphia Electric's problems with availability of funds  
9 or of Limerick's effect on Philadelphia Electric's reserve  
10 margin in the course of Bechtel's gathering data for its  
11 Forecast 5?

12          A     I do not deal directly with Bechtel, so I don't  
13 know exactly what was told or what wasn't told. I do know that  
14 the Bechtel organization for many, many years has been told of  
15 the financial condition, apprised of the inadequate financial  
16 position of the company and that has been told many, many times.

17          Q     Is it correct that right now Philadelphia Electric  
18 recognizes that Limerick will provide a cost savings to  
19 customers, regardless of its affect on capacity?

20          A     I can't say I agree that it's regardless of its  
21 affect on capacity. Of course, the savings of any generating  
22 unit depend on the capacity factor of the unit.

23          Q     I don't mean the capacity factor of the unit. I mean  
24 the effect on PECO's reserve capacity.

25                   Let me restate the question for you. Is it correct

1 that PECO's recognizes that Limerick will provide a cost  
2 savings to customers regardless of what it does to PECO's  
3 reserve margin?

4 A. Yes, I think that's generally true.

5 Q. Will this savings, as PECO understands it, be  
6 immediate, as soon as the plant goes into commercial operation  
7 or in the first few years of operations does PECO expect that  
8 the capital cost to customers will outweigh the fuel cost  
9 savings?

10 A. I believe that is an item for Mr. Lawrence, but  
11 as I remember, it does take one or two years for the savings,  
12 the fuel savings, to surpass the carrying charges on the invest-  
13 ment; and then from then on the fuel savings -- net savings --  
14 get bigger each year with the assumed escalation in the cost  
15 of alternative fossil fuels.

16 Q. So I should I direct that question to Mr. Lawrence?

17 A. That's right.

18 Q. Is it correct that none of the postponements for  
19 Peach Bottom II, Peach Bottom III, Salem I and Salem II  
20 were for the announced reasons of either reduced load forecasts  
21 or financial constraints?

22 MR. YOUNG: Mr. Examiner, I would object to that. I  
23 think that's outside the direct testimony of this witness,  
24 certainly, if not outside the scope of this entire proceeding.

25 MR. SAYRE: If it's outside this witness' capability

1 I don't mind being referred to another witness. As far as  
2 the scope of this proceeding goes, it's very clear from the  
3 Trial Staff's testimony that we are challenging some of the  
4 company's postponements and I think it's very relevant what  
5 postponements were caused to other plants during the same  
6 period of time when PECO was discussing the reasons why --  
7 that PECO constructing the reasons that were stated for those  
8 postponements.

9 JUDGE KLOVEKORN: I will overrule the objection.

10 THE WITNESS: Which postponements, specifically,  
11 are you referring to?

12 BY MR. SAYRE:

13 Q My question is that for any postponement, all  
14 postponements, that were announced for Peach Bottom II and  
15 III or Salem I and II, is it not correct that none of the  
16 postponements were for either of the two reasons, reduced  
17 load forecast or financial constraints?

18 MR. YOUNG: Are you identifying particular postpone-  
19 ments?

20 MR. SAYRE: No. I'm saying any of them.

21 MR. YOUNG: I don't think that the record shows there  
22 are any in this proceeding, so I don't see how we can speculate  
23 about postponements.

24 MR. SAYRE: All right, I will ask a background  
25 question and then return to the main one.

1 BY MR. SAYRE:

2 Q Isn't it correct that there were a number of post-  
3 ponements for each of those units during the course of their  
4 construction?

5 A I don't recall what the original schedule for the  
6 Peach Bottom construction was or for the Salem.

7 Q Are you saying that you don't know the answer to  
8 that main question?

9 A I'm not sure I know what the question is.

10 Q Can you refer to IR-2, question 7-30?

11 (Witness perusing document.)

12 Q That is part of Consumer Advocate Exhibit 1 and  
13 that has been marked for identification as such on the 25th  
14 of March.

15 Would you like the question again, Mr. Paquette?

16 A Can you give me a minute to look at your reference  
17 here?

18 (Witness perusing document.)

19 A Yes, I would appreciate the question again.

20 Q Is it correct that none of the postponements for  
21 Peach Bottom II and III and Salem I and II were for the announced  
22 reasons, either of reduced load forecasts or of financial  
23 constraints?

24 A In regard to the Peach Bottom schedule, which indicat  
25 of course that the unit was completed in 1974, which was a few

1 years beyond its originally scheduled date, that plant was  
2 constructed over a period of time when the company was in a  
3 lot different and better financial, generally, shape than we  
4 have been during the construction schedule for Limerick. To  
5 my recollection, none of the Peach Bottom delays were due to  
6 specifically financial factors.

7           When the Arab oil embargo hit in 1973 and its effects  
8 on our prices began to show up in 1974, the unit was already,  
9 essentially, complete and there was no, at that point, no  
10 need or merit to even considering delaying a unit that was  
11 already complete. As a matter of fact, we put the unit in  
12 as fast as we could under the licensing requirements of the  
13 NRC and the minute that that unit went into operation, right  
14 from the start, it began to produce fuel savings greater than  
15 its carrying charges.

16           In regard to the Salem plant, the history of the  
17 Salem schedule was more determined by Public Service of New  
18 Jersey, since they were the ones responsible for the constructi  
19 schedule. Philadelphia Electric surveyed their construction  
20 management, but most of the decisions on the schedule were made  
21 by Public Service, who were the prime owners -- not the prime  
22 owners, but were going to be the operators in that they had  
23 the responsibility for building the unit. So there, to my  
24 recollection, none of the delays were due any of our financial  
25 or our load growth considerations. It was primarily constructio

1 delays as opposed to those other two factors.

2 Q Am I correct that your prior answer is an explanation  
3 of a basic answer to my previous question, which is yes?

4 A My answers were explanations of the question, yes.

5 Q At the bottom of page 11 of your Statement number 9  
6 you are referring to the 1976 postponement, I believe.

7 A Yes.

8 Q And you talk about short-term costs to customers  
9 and possible long-term burdens.

10 A Right.

11 Q Short-term costs that you are referring to are  
12 increased capital costs for the period of time after the plant  
13 would have come on line on the faster schedule, up until the  
14 date that the plant was due to come on line on the postponed  
15 schedule, is that correct?

16 A That's correct.

17 Q In making the 1976 postponement, did the company  
18 evaluate what the long-term loss to the customers would be  
19 after that period of time due to the two year delay?

20 A I don't recall that we made a specific study.

21 Q In the 1978 postponement, I gather from your statement  
22 at page 14, that you did make a special study and estimated  
23 that 1983 bills would be \$190 million less but for each of,  
24 I guess, the next 35 or 40 years the bills would be \$47 million  
25 higher per year?

1 A That's correct.

2 Q Did you do any kind of present value analysis,  
3 comparing the long-term benefits and burdens?

4 A I'm not sure. It's possible that we did. We don't  
5 usually, but it's possible.

6 Q You don't recall?

7 A I don't recall.

8 Q I'd like to go back to Table A now --

9 A Table A?

10 Q In your testimony, yes. It was in 1969 that the  
11 company made the decision to build Limerick, is that correct?

12 A Yes.

13 Q I gather from Table A that at that time your return  
14 on common equity and interest coverage ratios were declining?

15 A That's correct.

16 Q Isn't it correct that at that time PECO expected  
17 them to keep declining because PECO was in the process of  
18 building Peach Bottom?

19 A No. We did not expect that our return on equity  
20 or our interest coverage ratio would continue to decline.

21 Q Even though Peach Bottom was under construction at  
22 the time?

23 A That's correct.

24 Q Was PECO financially healthy in 1969, as you would  
25 define that term, when the decision was made to go forward

1 to build Limerick?

2 A. Yes. I would say we were a relatively financially  
3 healthy company. There are all sorts of degrees of financial  
4 health, but with the conditions that existed at that time  
5 and the growth in business that we were experiencing, we and,  
6 I think, the investment community considered Philadelphia  
7 Electric a very high grade investment.

8 Q. But at that time your common equity return and  
9 earnings per share and coverage ratios were on the downturn?

10 A. That's correct. They had declined, right, but we  
11 anticipated that they would soon be restored to the levels  
12 that we felt were fair and adequate for the construction  
13 program that we had ahead of us.

14 Q. But as it turned out, at least through the next  
15 few years, that didn't materialize?

16 A. For the next at least 12 years it did not materialize.

17 Q. Now, 1974 was the year the construction permit was  
18 issued, is that correct?

19 A. Yes -- you're talking about the Limerick construction  
20 permit?

21 Q. That's right.

22 And that is when PECO really started to sink a lot  
23 of money into Limerick as compared to prior years?

24 A. That is when the dollars start to be expended, yes.

25 Q. Now, would you agree that PECO's financial situation

1 was bad in 1974?

2 A. It was probably the worst that we have experienced.  
3 It certainly was in terms of return on equity. It was 8.9  
4 percent.

5 Q. Has PECO ever issued preference stock subordinate to  
6 preferred stock?

7 A. No.

8 Q. PECO didn't issue any preferred stock in 1975, is  
9 that right?

10 A. In the calendar year '75?

11 Q. Right.

12 A. That's correct, we did not.

13 Q. Are you aware that PP&L has a fair amount of  
14 preference stock subordinate to preferred?

15 A. I think I'm aware that they do have preference.  
16 I'm not sure as to the size of it.

17 Q. Is it correct that a company can issue preferred or  
18 preference stock even in circumstances where the mortgage  
19 indenture prohibits issuing more mortgage bonds?

20 A. Depending on the situation for the given company,  
21 it usually is true, yes.

22 Q. At the bottom of page four and the bottom of page  
23 five of your statement, you indicate, do you not, that your  
24 predictions in 1974 depended upon partly confidence in an  
25 improving economy and also partly on a promptly granted rate

1 increase?

2 A. Yes.

3 Q. Is it fair to say that much of your financing program  
4 at that time depended on improvements in factors that were  
5 outside your control?

6 A. I think that is a fair assessment, yes; and not only  
7 since -- not just the year in question, but since that time  
8 we have had to put a lot of dependence on the Commission  
9 granting us prompt and adequate rate relief to attract the  
10 capital necessary for our construction program, and at the  
11 same time we have certainly been very adversely hit by the  
12 subsequent and substantial rise in the cost of money which is  
13 the other factor that is beyond our direct control.

14 Q. And it is fair to say that you consider that the  
15 factor of the Commission has not been particularly favorable  
16 to the company in that you have not been receiving prompt  
17 rate increases to which the company is entitled?

18 A. Yes, I would say in general the Commission's findings  
19 in our rate cases have been based on relatively fair rates  
20 of return, given the conditions of the money market. But the  
21 orders have been too much, too late, and also the orders have  
22 included factors such as deductions for excess capacity which  
23 have further eroded our ability to earn the rates of return  
24 that the Commission orders intended.

25 So that the delay, both in the outdated test year and

1 the old law, the delay in getting an order and the rate base  
2 deductions such as excess capacity have been serious deterrents  
3 to our ability to earn the returns needed to adequately  
4 compensate our investors and at the same time attract the  
5 capital we need.

6 Q In that last answer did you say, "Too much, too  
7 late," or did you mean too little, too late?

8 A Well, too little, too late is a good way to summarize  
9 it.

10 Q Let's go back to Table A now. In 1976, under its  
11 mortgage indenture, could PECO have issued more long-term  
12 debt? I'd like to expand that to 1975. In both of those  
13 years, under its indenture, could PECO have issued more long-  
14 term debt?

15 A Yes. We had at year end, we had additional capacity  
16 to issue mortgage bonds.

17 Q Approximately how much for those two years, in rough  
18 figures?

19 A I don't have the details with me.

20 Q Would it be difficult to make that kind of computa-  
21 tion for the years '75 through '78?

22 A For '75 through '78?

23 Q Yes.

24 A Well, that can be done.

25 It would most likely be one number for one year, beca

1 if you look up the excess coverage for 1975, and I guess what  
2 you are asking is if we had lowered the mortgage coverage  
3 ratio from 2.5 down to the minimum of 2 how much additional  
4 bonds would that have taken.

5           Once you've done that for '75, then that then lowers  
6 '76's ratio automatically because those bonds would be carried  
7 over. So you don't add '75 to '76. '75 will probably wipe  
8 out the excess we had in '76 and also, as you will see, will  
9 then have put 1979's ratio below two, so there would have to  
10 be an offsetting reduction sometime in '78 or '79 of bonds  
11 we couldn't have sold then because we, under your theory,  
12 would have sold more bonds in 1975.

13           We can work up that number for you.

14           Q. I would appreciate that. Thank you.

15           A. Am I correct in reading Table C that the 1976  
16 postponement lowered the financing requirements from 1976  
17 to 1978 by \$56 million, \$44 million and \$76 million respective

18           A. That's correct.

19           Q. Would you agree that the 1976 to 1978 financial  
20 markets improved considerably over the 1974 to '75 situation?

21           A. You said the financial markets improved?

22           Q. Yes.

23           A. In those three years, as compared to '74?

24           Q. Compare '76 through '78 to '74 and '75.

25           (Witness perusing documents.)

1           A     It's perhaps true that the period '76 through '78  
2 was somewhat more favorable in terms of the financial market  
3 than the '74 and '75 period. But overall, I would not charact-  
4 erize either period as being a terrific period in which to  
5 finance.

6                     It appears as if long-term bond rates were just a  
7 little lowered in the '76 to '78 period as compared to the  
8 '74 to '75 period. It's true that our common stock price, on  
9 average, was probably a little bit higher in the '76 to '78  
10 period than it was in the low period immediately following  
11 the ConEd dividend omission of '74.

12           Q     PECo actually sold common stock at greater than  
13 book value in 1977, didn't it?

14           A     In 1977?

15           Q     Yes.

16           A     Just slightly above book value, yes.

17           Q     What was the market to book ratio of that issue?

18           A     Well, on the total number of shares sold -- I don't  
19 have all the details -- it was probably one big issue plus  
20 shares sold under our dividend reinvestment and employee plan.  
21 The total amount of shares sold in 1977, the average price per  
22 share received by the company was \$19.54. Our yearend book  
23 value as \$19.26. So that would have given us a market -- a  
24 proceeds to book value of about 101, 102, I guess.

25           Q     About how much money was raised through the sale of

1 common stock in 1977? Do you have that figure there?

2 (Witness perusing documents.)

3 A In 1977 we raised almost \$104 million through the  
4 sale of common stock.

5 Q Is it correct that in early 1978 the market price  
6 of PECO's common stock was fairly stable?

7 A Early 1978?

8 Q Yes.

9 A I will accept that subject to check.

10 Q Is it correct that in 1978 PECO issued no common  
11 stock except for ESOP/ TRASOP dividend reinvestment stock?

12 A Did you say early 1978?

13 Q No, all of 1978.

14 A All of 1978?

15 (Witness perusing documents.)

16 A Yes, that's correct.

17 Q Is it correct that the market to book ratio in 1978  
18 was in the 90 to 92 percent range and that the limited amount  
19 of stock sold under those particular fairly small plans in  
20 1978 was also in the price to book ratio of 90 to 92 percent?

21 A Are you talking the early part of the year or the  
22 whole year?

23 Q Now I'm talking about the whole year.

24 A Well, the average proceeds we received for the shares  
25 we did sell in 1978 was \$17.46 a share. The book value at

1 yearend, 1978, was \$19.28. That seems to be a much lower  
2 ratio than you are referring to. I don't know what is the  
3 basis for your figures.

4 Q. Can you break it down, then to --

5 A. Incidentally, that would come to about a 90 percent  
6 ratio. Is that what you were quoting?

7 Q. Yes, 90 to 92 percent.

8 A. Okay. Then I will accept that. I agree with you.

9 Q. And the market to book in 1978 was also in that  
10 range, computed the same way?

11 A. Well, the market during the whole year fluctuated  
12 considerably. We started off the year -- we had a high, which  
13 I assume was in the beginning of the year, of \$19.75 a share.  
14 It hit a low of \$15, and it closed the year at \$15.50.

15 Q. If you average it out, does that probably come  
16 pretty close to the 90 percent level?

17 A. Probably slightly under. I guess the average would  
18 be about -- well, I guess you're right, \$17.50.

19 Q. It would be about 91?

20 A. We are talking about 90. Obviously, the second half  
21 of the year the price was severely depressed and down in the  
22 15 area.

23 Q. Is it correct that the cost of debt capital in the  
24 market was declining in the period from 1974 to 1977?

25 A. I think I said earlier it was slightly, according to

1 the figures I have, it was slightly lowered in the '76 to '78  
2 period than it was in the prior two years, yes.

3 Q PECO is not still spending money on the pre-1978  
4 '83/'85 schedule is it?

5 A Well, I believe we are now on a '85/'87 schedule.

6 Q So is it correct that the 1981 budgeted expenditures  
7 are below the level that was scheduled for the '83/'85 completi

8 A I don't believe that's true, but Mr. Boyer would --  
9 you're talking about absolute dollars we are spending this  
10 year versus what was earlier projected for this year based on  
11 an '83/'85 schedule?

12 Q Right.

13 A I don't have that number. Perhaps Mr. Boyer could  
14 answer that question.

15 Q Okay.

16 A The whole world of inflation has changed considerably  
17 as compared to a couple years ago.

18 Q Now, I'm going to walk into the jaws of what I  
19 trust will be a good trap for me, and ask you to explain the  
20 statement that you make on page 13 of your testimony.

21 On that page you refer to a message, which word that  
22 you put in quotation marks, from the Administrative Law Judge's  
23 decision in R.I.D. '438, which involved an excess capacity  
24 adjustment recommended by the ALJ and rejected by the PUC,  
25 is that right?

1 A Yes.

2 Q Does PECO normally make or revise its plan involving  
3 construction projects of this size based on unapproved ALJ  
4 recommendations?

5 A Well, no, and we didn't in this case either. But as  
6 I indicated here and elsewhere in my testimony this was one  
7 of the many factors that they took into consideration, as  
8 we always do. It's not a very simple thing when we make any  
9 decision -- big decision -- such as we did on the Limerick  
10 project as enumerated in my testimony.

11 It's not just one factor that we look at but many,  
12 many factors; the current ratings of the company, the prospect  
13 for improving our ratings, the prospect for inflation, the  
14 prospect for interest rates and the prospect, of course, for  
15 when the plant goes into service, for getting it promptly  
16 in the rate base so that we can overcome the attrition that's  
17 caused when AFUDC stops and we must get the plant in the rate  
18 base. We have had many delays in getting both the Peach Bottom  
19 and the Salem units into rate base with the Commission.

20 This seemed to be another factor that did weigh  
21 heavily on our thinking, because not only with the Administrati  
22 Law Judge but later on in one of the subsequent decisions,  
23 the last decision, the Commission did, in fact, reduce our  
24 rate base for excess capacity. So this was just another factor  
25 adding weight onto a whole mountain of evidence that brought us

1 to come to the conclusion that we should delay Limerick until  
2 such time as it was necessary from a capacity standpoint, which  
3 was, in those years, the primary determinant that the company  
4 had followed in designing our system, that we should put  
5 equipment in at approximately the time that it's necessary  
6 to serve our customers from a capacity standpoint and not  
7 unreasonably before that and not unreasonably after that.

8 Q During that period, is it your testimony that that  
9 was PECO's main analysis, not what would cost more or less  
10 in the long or the short-term for the rate payers?

11 A We always try to build and design a system in the  
12 most economical fashion in conjunction with putting in capacity  
13 when it's needed for our customers. To take the point that  
14 you're leading to to its ultimate extreme, it would be most  
15 efficient and least costly for us to put all the capacity in  
16 now that we are going to need for the next 50 years, because  
17 we can certainly build it cheaper now than we can build it  
18 in the year 2000. But it would be crazy to put it in today  
19 because it isn't necessary to serve our customers. So you have  
20 to balance the need for the equipment, be it a turbine or  
21 be it a pole, to serve the customer with the economics of when  
22 it's most efficient to serve the customer.

23 Q The bottom line economic question is, isn't it, what  
24 is going to minimize rates while maintaining an adequate level  
25 of capacity for contingencies over the long run?

1           A.     Our number one objective is to provide the most  
2 reasonably priced service to our customers as they need the  
3 service in the most reliable fashion.

4           Q.     Now, did PECO treat the PUC's failure in R.I.D.  
5 438 to make an excess capacity adjustment as an opposite  
6 message to the message that you refer to on page 13? Was it --

7           A.     It was half an opposite message.

8           Q.     Let me finish the question.

9                     A measure that the Commission wants the company to  
10 seek long-term savings even at the price of short-term increase  
11 in costs? Can you answer that question?

12           A.     No, I did not interpret it as a clear signal to  
13 reduce costs in the long run because, as I recall, in that  
14 order, while they rejected the Administrative Law Judge's  
15 recommendation for a deduction from the rate base, they did  
16 put the company on notice that in the next filing we had to  
17 justify our load and capacity position, which as I recall we  
18 did do.

19                     So they did raise the point that in the next case  
20 the company had better be on the defensive in terms of its,  
21 quote, excess capacity.

22           Q.     In your opinion, is it automatically prudent for a  
23 utility such as PECO to do what the PUC suggests?

24           A.     No, it's not automatically true for a utility to always  
25 do what the PUC suggests.

1 Q Now, on page 17 there is another statement that I  
2 would like to give you an opportunity to explain. You state  
3 that if you had somehow been able to finish Limerick on its  
4 1979 to 1981 schedule the customers today would be seriously  
5 questioning the wisdom of that plant.

6 Isn't it your position today that Limerick will  
7 result in a savings, and a substantial savings, to the customer  
8 regardless of whether or not it's needed in terms of capacity  
9 planning, but because it provides substantial fuel cost  
10 savings?

11 A Well, our position is that when Limerick is scheduled  
12 to come in in 1985/'87, it will produce significant savings.  
13 I'm not sure that I've seen an analysis that said that if it  
14 were to go into service today it would be producing the same  
15 savings, but I believe it would.

16 Q If, for example, you had a two and a half billion  
17 dollar Limerick I cranking out power right now, that would be  
18 still more valuable from a cost standpoint, wouldn't it?

19 A I don't know whether we have looked at the specifics  
20 of that two and a half billion cost versus today's cost of  
21 energy, but I will go along with you and assume that it would.

22 Q Now, I --

23 A But I still believe, though, even though we are  
24 producing net savings for our customers, I don't think the  
25 public, because of the way the whole issue gets presented by

1 the media and newspapers, the public only looks at the one  
2 side that's adverse to them and that is that the company has  
3 to come in for a base rate increase to recover its capital  
4 charges while the fuel savings automatically flow through to  
5 the customer in the fuel adjustment.

6 We have been trying to correct that situation in  
7 the past by asking the Commission to correct the fuel adjust-  
8 ment so that the savings don't automatically flow through  
9 without some consideration of letting the utility retain some  
10 of the savings to support the carrying charges. If that  
11 happened, then the customer's bill would not be changed  
12 relative to the current proceedings, in the current way that  
13 the Commission administers the fuel adjustment, but the  
14 utility wouldn't be subject to all the adverse publicity of  
15 making us sound like we are terrible people, that we have to  
16 come in for a rate increase to support the carrying charges on  
17 an investment that produces long run savings for the rate  
18 payer.

19 Q So that customer criticism that you hypothesize  
20 on page 17, that would not be well taken criticism?

21 A You mean it would not be justified?

22 Q That's right.

23 A Yes, I believe it would not be justified. But it  
24 would still be blown all out of proportion, as every rate case  
25 is, by the newspapers.

1 Q On page 18 you state that even under the most cons  
2 tive load forecasts, Limerick capacity is needed in this  
3 decade.

4 Isn't this statement true from a capacity standpoint  
5 if we leave aside the question of fuel cost savings? Isn't t  
6 statement true only if you retire a large amount of your  
7 oil generating capacity, as indicated in the forecast present  
8 by Mr. Kasum?

9 A Could I have a second?

10 Q Sure.

11 (Pause.)

12 A Would you please repeat your question?

13 A Is it correct that your statement in the second  
14 sentence of the last answer on page 18 that the Limerick  
15 capacity is needed in this decade, isn't this statement true  
16 only if PECO retires a large amount of its oil generating  
17 capacity as indicated in Mr. Kasum's projections?

18 A I think it's needed even if we didn't retire the  
19 capacity, because our reserve margins would still be, in a  
20 few years, in the low 30's, even if we don't retire the old  
21 capacity. But that old capacity is self-descriptive; it's  
22 old, it's unreliable and I think Limerick is needed for  
23 capacity purposes as well as for economy purposes.

24 Q To a large extent you're talking about the combustion  
25 turbine retirement planned for 1985, and those aren't unreliable

1 are they?

2 A. No, they are pretty reliable, but that is only  
3 473 megawatts -- 475 megawatts -- out of a total capacity  
4 that will have close to 9,000. So that's only a small  
5 percentage of our total capacity.

6 I'm not talking about a big percentage of retirement  
7 and I would come to the conclusion that I think our customers  
8 need Limerick for capacity purposes in this decade whether we  
9 retire that capacity or whether we don't.

10 Q At the end of 1990, if you don't retire your  
11 oil capacity --

12 A. Excuse me. Which year?

13 Q. 1990.

14 A. Okay.

15 Q. If you don't make the retirement of the oil capacity  
16 and you put Limerick in on schedule, what would your reserve  
17 margin be?

18 A. I guess the reserve margins would be in the -- about  
19 40 percent or so.

20 But you can't just look at the absolute numbers,  
21 You have to also look at the kinds of capacity and the age of  
22 it and the kind of fuel that is utilized to make --

23 Q. That's the fuel savings argument.

24 A. No, no. I'm talking about dependability, the  
25 dependability of the source of the supply of the fuel. I would

1 just take the position -- and I'm sure that Mr. Boyer and  
2 Mr. Kasum can discuss it more properly than I do -- but  
3 I would say that that capacity still is needed for our customer

4 Q Now, I'd like to move back into your testimony at  
5 page five. At page five of your testimony you note in 1974  
6 the increase on your fuel adjustment charge led to reductions  
7 in energy use by your customers.

8 Why did you expect this to be a temporary phenomenon?

9 A We thought that after a short period of time that  
10 the customers would get adjusted to the higher prices and  
11 would then resume using energy in the same manner that they  
12 had before.

13 Q So, basically, the company underestimated the  
14 price elasticity of demand, is that right?

15 A I believe, quite frankly, at that time that we and  
16 a lot of others seriously doubted whether there was any  
17 elasticity, to be perfectly honest. We had not seen any  
18 evidence up to that time, despite somewhat rising prices of  
19 energy just due to inflation and not due to significant fuel  
20 price increases, we had not seen any abatement in the year to  
21 year increase in the average use per customer both in our  
22 territory and around the country.

23 When this phenomenon first appeared in the mid-'70'  
24 we did not think it was going to be a permanent change in  
25 lifestyle at that time.

1 Q PECO didn't expect the price of oil to return to  
2 the pre-embargo level, did it?

3 A No, I don't think we did. We just thought that  
4 naturally, over time, if the oil prices stayed at that new,  
5 higher plateau eventually incomes would have caught up and  
6 the budgets of individuals would be readjusted and we thought  
7 that they would go back to the same living and energy consumin  
8 patterns that they had prior to the oil embargo.

9 Q Am I correct that you stated earlier that when  
10 Peach Bottom came on line that led to an immediate reduction  
11 in the customers' overall bills including the energy charge?

12 A I don't recall whether I said that in this testimony

13 Q I believe you said it on cross-examination. I want  
14 to make sure that that's an accurate statement.

15 A Peach Bottom -- well, I didn't say it reduced our  
16 customers' bills. Peach Bottom, by itself, its fuel savings  
17 paid for its carrying charges. Now, that, then, tended to  
18 hold down the rise in bills and offset the impact of inflation.

19 I think during that period when Peach Bottom started up  
20 for a few years the average unit revenue paid by our customers,  
21 including the fuel charge and base rates, was pretty flat  
22 from the period of '74 through '76, as I recall, which demon-  
23 strated the benefits of Peach Bottom.

24 We did not see an absolute reduction in the total  
25 cents per kilowatt hour paid by our customers.

1 Q But when you refer, on page six, to a 1974 rate  
2 increase request to cover Peach Bottom II in rate base, it's  
3 correct, isn't it, that the decrease in the energy costs to the  
4 customers immediately more than offset the increase capacity  
5 costs?

6 A Yes. As a matter of fact, the customers got a  
7 windfall then because the unit went in service, as I recall,  
8 in June of 1974. The fuel adjustment came down immediately  
9 and it wasn't until early in '75 when we got the base rate  
10 increase and the customers realized a fuel savings of, if I  
11 remember, something on the order of \$50 million before base  
12 rates were adjusted for carrying charges.

13 Q In 1974 and 1976, which two year delays in each of  
14 those two years were ordered by management, would those  
15 delays have been ordered if AFUDC would have been ceased for  
16 a two year period due to the delay? Would the company have  
17 made the same decision under those circumstances?

18 A We probably would have had to make an even faster  
19 decision. If AFUDC had to terminate our earnings would have  
20 been eroded even further than they had been eroded at the  
21 time.

22 Q So you're saying that you would still have, in  
23 your opinion, postponed construction even if that would have  
24 AFUDC for a period of years?

25 A I think that would have been the event that absolu

1 forced us to make that kind of decision, and probably even  
2 faster than we did make it, if the Commission had told us  
3 that we couldn't accrue AFUDC any longer.

4 Q On page 11 -- I'm not sure if I picked this up  
5 the last time we were through this paragraph. It's the  
6 last paragraph on the page.

7 When you are referring to the short-term, that short  
8 term is just the period after Limerick would have come on  
9 line under the faster schedule, is that right; the period  
10 between the two scheduled dates of completion?

11 A Well, it was generally that, but short-term, I'm just  
12 generally thinking of upwards of three to five years as  
13 compared to looking out 30 years.

14 Q And if you had looked out 30 years, there would have  
15 been a net savings to customers?

16 A Yes. As we later discussed and enumerated on page  
17 14, about the short versus the long run penalties of a delay.

18 Q In your opinion, has PECO's financial situation  
19 improved from the 1974 to the 1976 period compared to now?

20 A You mean are we better off today than we were in  
21 '74 to '76?

22 Q That's right.

23 A It's a very difficult thing to assess because there  
24 are many, many factors that have to be evaluated. Our  
25 interest coverage ratio is certainly no better than it was

1 in that period.

2 Q A little worse, in fact, isn't it?

3 A A little worse. I'm looking at an average of the  
4 year '74 and the year '76, and we are in about the same position  
5 now that we were then.

6 Our SEC coverage is certainly lower today than it  
7 was then. Although our return on equity is higher, a much  
8 higher percent of our earnings are produced from AFUDC today  
9 than it was then, and therefore, I would say that probably  
10 overall the quality of our earnings have deteriorated.

11 We are no longer flowing through deferred taxes, state  
12 deferred taxes, today which we weren't flowing through then,  
13 so that's another indication of a lesser quality of earnings  
14 today.

15 Certainly, our debt ratings are lower today than  
16 they were in 1974 in general. Our earnings per share are  
17 higher, but again, there also a higher proportion of those  
18 are non-cash AFUDC earnings.

19 Our stock price, at 12 and a half today, is at the  
20 lower end of what it was in the '74 to '76 period.

21 So overall, I would say that as of this moment in  
22 time we are probably about the same as in the '74/'76 period.

23 Q With particular reference to the mortgage coverage  
24 ratio and the bond ratings, would you agree with me that you  
25 in somewhat of a worse position now, from the point of view

1 going to the capital markets for large amounts of financing,  
2 than you were in '74 and '76?

3 A. Well, in terms of going to the market and raising  
4 new capital, I could make an argument that we are better off  
5 than we were, and I think we are namely because as of this  
6 point in time our ratios appear to be about the same as they  
7 were then.

8 At the present time, we have a number of plus  
9 factors going for us which the investor and the rating agenci  
10 are attaching a lot of significance to. One is that our  
11 earnings, because of the rate increase we obtained last year,  
12 our earnings have been increasing since a low point was reach  
13 a year ago when we were below the dividend -- our earnings  
14 were below the dividend -- and our coverage was below the  
15 minimums.

16 As indicated on this table, we have at least pulled  
17 ourselves up above those minimums so we are now earning the  
18 dividend and we can finance again. We have a heck of a long  
19 way to go. At least we are heading in the right direction,  
20 whereas in some of these years we were headed in the wrong  
21 direction.

22 The other thing that is really a big plus is the  
23 fact that within the next week or so the Commission, hopefully  
24 will decide our last rate case and the rating agencies are  
25 counting on a significant rate increase to be able to continu

1 that momentum through at least the next year so that we will  
2 have the earnings to attract the capital that is necessary.

3 So that being on the horizon adds a plus that I  
4 don't recall we had within the '74/'76 period.

5 Q Do you have any --

6 A So in terms of the outlook at this point, the  
7 investor is counting significantly on the Commission's decision  
8 that will be made within the next couple of weeks.

9 Q Do you have any information from the rating agencies  
10 that leads you to hope for an improvement in PECO's bond and  
11 preferred and equity ratings, based on what the Commission does  
12 in the current rate case?

13 A No. The best I can hope for is that if the Commission  
14 give us no less than what the Administrative Law Judge has  
15 recommended, that we might be able to retain our present  
16 ratings. There is no immediate prospect for an upgrading at  
17 the present time.

18 Q And the present ratings are substantially worse than  
19 they were in '74 and '76?

20 A No. As a matter of fact, the Moody rating is  
21 exactly the same as it was in 1974; A. But the S&P rating  
22 is lower than it was.

23 Q What about your preferred and common ratings?

24 A Well, common doesn't normally get a rating, but  
25 preferred is also lower than it was. The S&P rating was, I

1 believe, reduced to A-minus in 1975 on the mortgage bonds  
2 and that is now BBB-plus. So that is two small steps lower  
3 that it was.

4 But we are in danger of further downgrading unless  
5 as the rating agencies have expressed, the Commission grants  
6 us a significant rate increase.

7 MR. SAYRE: May I have just a minute, Your Honor?

8 JUDGE KLOVEKORN: Yes.

9 MR. SAYRE: No further questions, Your Honor.

10 JUDGE KLOVEKORN: At this point let's take a brief  
11 recess.

12 (Recess.)

13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

JUDGE KLOVEKORN: We are back on the record.

Mr. Popowsky?

MR. POPOWSKY: Thank you, Your Honor.

CROSS-EXAMINATION

BY MR. POPOWSKY:

Q Mr. Paquette, my name is Irwin Popowsky. I am an attorney with the Office of the Consumer Advocate.

At page 8 of your testimony you refer to the delay in the Limerick schedule announced in the fall of 1974. You also refer to other changes --that is in the second paragraph of your first answer -- in your construction budget which allowed you to reduce your spending by about \$600 million.

Could you clarify what those other changes were at that time?

A I believe that the other significant change was a corresponding delay in another nuclear generating station that we then had scheduled for after Limerick. It was called Fulton Plant. In 1974, when we rescheduled Limerick to an '81-'82 schedule we also moved Fulton to an '84-'86 schedule, which I believe was a two-year delay in that unit -- or in that plant schedule.

Then associated with both of those moves would have been delays in associated transmission facilities. I believe that would have been the major items involved.

1 Q What other major construction projects was the  
 2 company working on during the time period that we are  
 3 discussing here? Perhaps I should broaden the question to  
 4 the entire period from the beginning of plans for Limerick  
 5 in the early '70's; what were the other major projects that  
 6 the company was expending large amounts of capital on?

7 A The ones that we actually were spending money on  
 8 were only the Peach Bottom units and the Salem units and the  
 9 Limerick units in the '70's.

10 Q How about the Eddystones?

11 A The Eddystones; you are absolutely right. There  
 12 were two oil-fired units put into Eddystone, and also some  
 13 combustion turbines that we completed in 1974 that were  
 14 installed at Croydon.

15 I believe that is all of the capacity additions,  
 16 but then associated with that would have been significant  
 17 investments in transmission associated with all those units.

18 Q Did your expenditures for those projects which you  
 19 have just mentioned, did they hamper your ability to construct  
 20 Limerick on schedule -- on your original schedule?

21 A I don't believe that they had any significant  
 22 effect because most of the expenditures with the exception  
 23 of the Salem plant, which the first unit came in in 1977 and  
 24 then the second unit was originally scheduled for 1979, but  
 25 we had spent the dollars before that -- all the other units

1 we had essentially completed by mid 1974 when we then  
2 started up the Limerick project.

3 Q Did the company essentially seek rate relief as  
4 each of these plants came on line, the major plants that  
5 you have discussed; was the company required to seek base  
6 rate relief?

7 A Yes, in almost every instance, particularly the  
8 1974 additions to rate base, which were the Peach Bottom 1  
9 and 2 and the Eddystone No. 3 unit and the Croydon gas  
10 turbines, all came in service in 1974 and necessitated that  
11 big rate increase that is referred to in my testimony.

12 Q And these rate increases, I take it, did not help  
13 you in your Limerick funding in any way?

14 Q Well, it did from the respect that it provided  
15 us with cash earnings in lieu of AFUDC, provided us with  
16 cash flow and depreciation, and all of that. It certainly  
17 helped as opposed to not having a rate increase.

18 They were there primarily and justified primarily  
19 on the basis of earning a fair return on the investment then  
20 in service, and then providing service to our customers.

21 Q In fact, am I correct that in last -- shall we  
22 call it the current rate case that is currently before the  
23 Commission, you were asked on cross-examination by Mr.  
24 Johnson of the Trial Staff to detail exactly what rate  
25 increases the company did seek or receive during the 1970's

1 is that correct?

2 A I sort of remember the question. I am not  
3 exactly sure who asked it.

4 Q Subject to check, was it your testimony overall  
5 that the company sought six rate increases in the decade of  
6 the 1970's for a total amount requested of \$610 million,  
7 and of that amount you testified that you received approxi-  
8 mately \$477 million?

9 A You are talking about rate increases actually  
10 sought in the '70's versus what was granted from those rate  
11 increases in that ten-year period in the '70's?

12 Q Yes.

13 A Would you mind repeating the numbers on how much  
14 was sought and how much was granted?

15 Q \$610 million and \$477 million, which were the  
16 calculations made in the last case.

17 A That sounds essentially correct.

18 Q In your direct testimony in that case -- that is  
19 R.I.D. 1225, the current case -- I believe you testified tha  
20 the cost of debentures to the company, its most recent sale  
21 of debentures, was 14.65 percent; do you recall that?

22 A That sounds right.

23 Q You can check these at the break.  
24 On cross-examination you stated that the yield  
25 on the most recent mortgage bonds sale by the company was

1 13.75 percent?

2 A I believe that is true. That is the one of last  
3 October, the bond sale of last October.

4 Q Yes, I believe that is correct.

5 A (Witness perusing documents.)

6 Yes.

7 Q Have those costs related to debentures and mortgage  
8 bonds decreased significantly since the time of your  
9 testimony; that is, to the extent that PECO itself has not  
10 had occasion to sell similar issues, has the market cost  
11 dropped significantly for other utilities?

12 MR. YOUNG: Your Honor, I object to the question.  
13 I don't really see how it is relevant to this proceeding.  
14 We are not concerned here with the rate of return as a  
15 specific item of proof, and certainly not with future rates  
16 of return as it is influenced by current bond costs. I  
17 have trouble seeing what value that has to this proceeding.

18 MR. POPOWSKY: Your Honor, I believe that the  
19 cost of money to PECO is a crucial determining factor. In,  
20 for example, Mr. Lawrence's testimony as to the cost of  
21 completing Limerick or the costs of alternatives, the bond  
22 prices that PECO will have to pay over the next five years  
23 could make differences of millions of dollars, I suspect,  
24 in the cost of Limerick.

25 MR. YOUNG: It is still not part of this witness'

1 direct testimony. Nor do I think that any witness makes  
2 predictions about bond prices over periods of time other  
3 than as a basis for calculations, which are submitted and  
4 that witness could be asked that question.

5 MR. POPOWSKY: I could wait until Mr. Lawrence  
6 testifies. I think that as the financial officer of the  
7 company that Mr. Paquette would be more likely to inform  
8 Mr. Lawrence as to what he believes the bond prices to be than  
9 the other way around.

10 Could I ask that the objection be overruled at  
11 this time, and if I go too far afield and go into Mr. Lawrence  
12 questions I will cease at that time; I certainly believe  
13 that the bond prices are relevant, and I think that Mr.  
14 Paquette is probably the most knowledgeable witness that the  
15 company is offering.

16 JUDGE KLOVEKORN: I take it your question is:  
17 what is the cost of money today?

18 MR. POPOWSKY: That is the first question, yes.  
19 Have those costs decreased since he testified in the rate case?

20 JUDGE KLOVEKORN: I will overrule the objection.

21 MR. POPOWSKY: Thank you.

22 THE WITNESS: The cost of money has increased  
23 significantly since last fall. If we were to issue mortgage  
24 bonds today with a maturity of around ten to fifteen years,  
25 my guess is that it would cost us today in the range of 15 to

1 15.5 percent for bonds; and upwards of 16 percent for  
2 debentures.

3 BY MR. POPOWSKY:

4 Q If you have no opinion, you don't need to answer;  
5 but do you have an opinion as to what the comparable prices  
6 are that you would anticipate in the next five to seven  
7 years?

8 MR. YOUNG: I would make the same objection to  
9 that question.

10 MR. POPOWSKY: I think that that is probably an  
11 input into Mr. Lawrence's financial analysis, and I would  
12 like to know whether Mr. Paquette is responsible for selecting  
13 that input, or whether he had any input into that input.

14 JUDGE KLOVEKORN: I will overrule the objection.

15 THE WITNESS: Based on forecasts made by  
16 published economists -- or economists who publish -- and in  
17 the judgment of our economist, we are looking for a downward  
18 trend in the cost of money over the next five-plus years,  
19 particularly if President Reagan's economic plan is successful  
20 and I believe Washington is forecasting some significant  
21 reductions in interest rates looking out three to four years.  
22 Not in the immediate couple of years, but looking out three  
23 to four years.

24 Our economist, I think, agrees that there will be  
25 a decrease, but maybe not as significantly lower as some

1 people are predicting.

2 BY MR. POPOWSKY:

3 Q I take it from your answer that you are not the  
4 person responsible for selecting the bond rates to be used  
5 in the company's financial projections?

6 A Mr. Lawrence and the rate division in which he  
7 works consult with me in terms of what rates to use in  
8 economic evaluations, which are at the heart of his testimony  
9 those types of evaluations; so I do get involved in making  
10 the final decision as to what the input should be.

11 Q Do you know offhand what that number was that used  
12 in that case?

13 A I don't recall.

14 Q We can probably obtain these numbers; Mr. Lawrence  
15 has supplied us with copies of the financial output, and we  
16 will attempt to review that certainly before Mr. Lawrence  
17 testifies; and to the extent that when Mr. Paquette is back  
18 here on May 13 or whatever the date that Mr. Dasent intends  
19 to call him, there may be some carry-over questions from Mr.  
20 Lawrence to Mr. Paquette on those matters.

21 If initially I could just request just generally:  
22 in addition to long-term debt rates, are you also -- or were  
23 you also responsible in developing the short-term debt rate,  
24 the cost of preferred stock to be used, and the cost of  
25 common equity?

1 A Do you mean used in Mr. Lawrence's --

2 Q Yes.

3 A They consulted with me on all of those, not just  
4 the long-term debt.

5 Q Was there a particular market to book ratio that  
6 you advised Mr. Lawrence to use in the testimony?

7 A No, we approached the common stock from the view-  
8 point of a return on equity comparable to the 16 percent  
9 that we are requesting in the current rate case.

10 Q It was not necessary to assign a market to book  
11 value?

12 A That is right; of anything. In his approach he  
13 does not utilize market to book ratios.

14 Q Were you responsible for any criteria used as  
15 to mortgage coverages; that is, whether the revenue require-  
16 ment produced by Mr. Lawrence's simulation met any particular  
17 requirements as to mortgage coverage, or any other require-  
18 ment?

19 A I don't believe that Mr. Lawrence's analysis  
20 requires an assumption as to mortgage coverage, as I recall.

21 (Mr. Lawrence and Mr. Paquette confer.)

22 The model that Mr. Lawrence relies upon does  
23 print out the mortgage coverage ratio, and they do examine  
24 that to make sure that under all the various scenarios that  
25 they study they make sure that there is enough earnings to

1 keep the ratio above 2. But they do not have any specified  
2 target number to be shooting for as long as it stays above 2.

3 Q Then can you agree that the mortgage coverage  
4 ratio must be above 2, at least in the near term, in order  
5 for the company to issue more mortgage bonds in order to  
6 include the financing of Limerick?

7 A That is correct.

8 Q Did you advise Mr. Lawrence to include a component  
9 for the type of interest adjustments that you included in  
10 the current rate case or any type of CWIP in rate base?

11 A We discussed that, but the model was run on the  
12 basis of current accounting. In other words, no equipment  
13 rate base and no interest adjustment. We haven't factored  
14 in any potential changes.

15 Q And you indicated, I believe, in questioning by  
16 Mr. Sayre that if there were no such accounting changes by  
17 the Commission, that the company would require -- I believe  
18 you used the term "exceedingly high" -- return on equity in  
19 order to complete the financing of Limerick on its current  
20 schedule; is that correct?

21 A That is correct.

22 Q Do you know what that return on equity is in  
23 Mr. Lawrence's model?

24 A No, I don't know.

25 (Mr. Lawrence and Mr. Paquette confer.)

1                   The answer is we do not know -- I do not know  
2 what is in the model.

3           Q       Do you know whether it is an input or an output,  
4 the return on equity?

5           A       The return on equity would be an output.

6           Q       An output?

7           A       The derived return on equity is an output of the  
8 model.

9           Q       Let me apologize in advance for what may  
10 be repetitive cross-examination of probably Mr. Lawrence  
11 and probably Mr. Thompson on some of these matters, but I  
12 did want to try to clarify some of these matters with you  
13 first.

14                    You also stated in your testimony in R.I.D. 1225 --

15           A       Excuse me; is that the current one?

16           Q       That is the current one -- that you were utilizing  
17 what you referred to as a conservative estimate of inflation  
18 of about ten percent. I believe that would have been through  
19 the period of 1982.

20           A       Right.

21           Q       Do you still consider that to be a conservative  
22 estimate of inflation?

23           A       As an average for the two-year period, '81 through  
24 '82, yes, I would say that was conservative.

25           Q       And for the extended period, it is your anticipatio

61  
1 that --

2 A Beyond '82 I would think that that number would be  
3 lower. I would hope that it would be lower.

4 Q And that inflation rate, whatever it is, would  
5 also be an input into Mr. Lawrence's model; is that correct?

6 A Inflation, right, is an input.

7 Q At page 10 of your testimony in the present case,  
8 you refer I believe to the weakened financial condition of  
9 the company. That is at the top of the page. And you state,  
10 I believe in response that one of the company's responses  
11 was to delay the construction of Limerick. Is that correct?

12 A I am not sure I understand your question.

13 Q Was the delay of construction of Limerick at that  
14 time a response to the company's weakened financial condition,  
15 or is that from a different time period?

16 A Well, on page 10 I am talking about the 1976  
17 decision, which was primarily related to further reduction  
18 in our load growth; but as I indicated, it also helps from  
19 the financial standpoint because our financial condition  
20 had not improved relative to 1974. But we did not make it  
21 just because of the financial position of the company. It  
22 was primarily because the lower load growth indicated that  
23 we had less need for capacity in the mid '80's.

24 Q In light of the company's then-existing financial  
25 condition and load growth projections, did you recommend --

1 or did you personally or members of the financial department  
2 recommend any alternatives to the completion of Limerick at  
3 that time?

4 A Do you mean a complete other alternative, such  
5 as not even finishing Limerick?

6 Q Such as completion of Unit 1 only; completion of  
7 Unit 1 before work would begin on Unit 2.

8 A No. We were always in favor of completing Limerick  
9 but of bringing it in when it was needed for capacity purposes.

10 Q Did you consider any of the alternatives that  
11 have been raised concerning reducing load growth -- attempting  
12 to reduce load growth even further by conservation measures  
13 at that time?

14 A We in the financial department?

15 Q Yes.

16 A Not that I recall. We were convinced, and we  
17 agreed with the engineering department that the temporary  
18 dip in load by our customers was going to be a temporary  
19 phenomenon, at least we thought at that time; and that we  
20 would need the capacity that we had under construction and  
21 we should go forward with it, but on an optimum schedule.

22 Q Did you consider at that time the possibility of  
23 joining with PP&L in either the Susquehanna project or the  
24 Limerick project from a financial viewpoint?

25 A Are you talking 1976 now?

1 Q Yes.

2 A I believe that we did. I am just hazy on my  
3 recollection of what was going on in 1976. The thing I am  
4 not sure about is what was Susquehanna's original schedule.  
5 Susquehanna was coming in earlier; it was supposed to come  
6 in earlier than Limerick. It wouldn't have made much sense  
7 for us in 1976 to attempt to join up with PP&L at that time  
8 and, in effect, buy into part of Susquehanna and get capacity  
9 earlier than Limerick was scheduled to come in, because it  
10 was obvious that everything that we were doing indicated that  
11 we didn't need capacity early; we needed it later.

12 So I would guess that we didn't actively consider  
13 joining with PP&L because we didn't need capacity early; we  
14 needed it later.

15 Beyond that my recollection is just hazy. Mr.  
16 Boyer, incidentally, might be able to shed light on that  
17 question.

18 Q I will limit my questions and I am sure you will  
19 limit your answers to the financial ramifications of these  
20 issues.

21 Are you or anyone within your department currently  
22 considering the possible financial benefits of the purchase  
23 of a portion of Susquehanna as opposed to completion of both  
24 Limerick units?

25 A As opposed to it?

1 Q Yes.

2 A I believe that we are --

3 (Mr. Lawrence and Mr. Paquette confer.)

4 -- in the process of evaluating that as one of  
5 the alternatives because I think it has been raised in this  
6 case.

7 Q Perhaps -- I don't want to misstate it -- shall  
8 I say: as opposed to the completion of either or both of  
9 the Limerick units, and I take it that your answer is that  
10 the company currently is conducting an analysis?

11 A Yes.

12 Q Can I ask that that analysis be shared with us  
13 when it is complete?

14 MR. POPOWSKY: I will make that in the form of  
15 a data request at this time. I suppose that the company  
16 is preparing that in the form of rebuttal testimony, but we  
17 would like to see that analysis whether or not it is included  
18 in the company's rebuttal testimony.

19 BY MR. POPOWSKY:

20 Q Based on the knowledge that you have to date, can  
21 you state whether the cancellation of Unit 2 and/or the  
22 purchase of output or capacity from the Susquehanna unit would  
23 reduce the company's financial needs -- or need for financing  
24 I should say, over the next five to seven years?

25 A When you say buying the Susquehanna, do you mean

1 buying an equivalent amount of capacity; in other words,  
2 terminate the Number 2 unit which is 1,055 megawatts?

3 Q Let's just start with cancellation of Unit 2. If  
4 the company decided at this point to cease construction of  
5 the Unit 2, am I correct that the external financing of the  
6 company would be significantly reduced in the next five to  
7 seven years?

8 A They would be reduced. I think it is obvious  
9 that when you don't build something you don't have to spend  
10 money. But I think it would be a very unwise decision  
11 because, as I recall the numbers, the total cost to build just  
12 the Number 1 unit alone with the common control facilities  
13 and other facilities in the plant would require an expenditure  
14 of approximately \$3 billion, including AFUDC; and, therefore,  
15 the total dollars saved by not building the Number 2 unit  
16 would be \$1 billion.

17 Looked at incrementally, it would be much wiser  
18 to continue building because you can get a pretty cheap  
19 1,000 megawatt unit at \$1 billion cost and get half the  
20 savings from the plant.

21 Q And that is assuming, of course, that the current  
22 Bechtel estimate of Unit 2's cost proves to be more accurate  
23 than the estimates of Unit 1's cost or the total cost to date

24 A I am not sure of the assumptions of Bechtel. I  
25 have not delved into those, but I do recall hearing from our

1 engineering department that if we finish just the one unit,  
2 it is still going to cost us roughly \$3 billion, but the  
3 assumptions behind that I am not familiar with.

4 Now, if we in turn -- if we stop construction on  
5 the Number 2 unit and, in turn, replace its capacity by buying  
6 the Susquehanna, we would be saving \$1 billion on that system  
7 but we would have to buy into roughly half of a plant that,  
8 as I understand it, is going to cost PP&L over \$3 billion and  
9 maybe more. I think I just read in their annual report that  
10 the unit with another year's delay will be around \$3.5 billion

11 So we would pick up the equivalent amount of  
12 capacity at say \$1.7 billion to \$1.8 billion, assuming we  
13 bought in half of Susquehanna, so that wouldn't seem to be  
14 the equitable thing for us to do.

15 Q That's assuming you wanted to replace the entire  
16 output?

17 A Yes, if you wanted to replace the entire plant;  
18 then we have gone around the bush on whether the capacity is  
19 needed or not, and I think it definitely is because, as  
20 indicated by the numbers I was quoting this morning, we would  
21 have somewhere around 33 percent reserve margin with both  
22 Limerick units in service, and if you eliminate both units  
23 there would go about 20 percent of our capacity or 25 percent  
24 of our capacity; if you eliminate one unit, you are going to  
25 reduce our capacity by ten to twelve percent and put us down

67  
1 in the low 20's.

2 Q In line with that remark, am I correct that it  
3 was your testimony that despite the large reserve margin that  
4 would be produced by bringing Limerick on line in 1981, if  
5 that could have still been done --

6 A Bring it in today, yes.

7 Q Was it your testimony this morning that that would  
8 produce fuel savings which would exceed the capital costs  
9 of bringing the plant on line?

10 A I said we haven't made a study on it, but it  
11 wouldn't surprise me if we did that it would produced savings  
12 in excess of its carrying charges, but we have not studied  
13 that particular scenario that I think Mr. Sayre outlined of  
14 a plant costing \$2.5 billion, as I remember from earlier,  
15 and today's fuel prices. We have not studied that.

16 Q Is it your testimony that -- in light of that  
17 testimony, could you state why it is that the company does  
18 not believe that -- or does the company believe that the fuel  
19 savings from its share of Salem 2 would not outweigh the  
20 capital costs of that unit?

21 A Could you go over that question again? Salem 2  
22 you are on now?

23 Q Yes.

24 A What was the question again?

25 Q If it is correct that bringing Limerick on line in

1 1981 would produce fuel savings that would exceed the capital  
2 costs of that unit, why would the same not be true for the  
3 company's share of the Salem 2 nuclear unit?

4 A Well, it probably would, but if Limerick ended up  
5 with that situation, then Salem probably would to. But as I  
6 said, we haven't studied Limerick, but it wouldn't surprise  
7 me. The Salem Number 2, of course, is a different plant,  
8 constructed over a different time frame than Limerick will be  
9 and you have to just look at each situation individually for  
10 the given conditions.

11 It wouldn't surprise me if Salem in its first year  
12 would substantially carry its carrying charges given today's  
13 level of fuel prices and interchange prices.

14 Q But you have conducted no analysis of the Salem 2  
15 sale to determine whether that is correct or not?

16 A We have conducted studies -- I think they were  
17 introduced into the last rate case -- of the relative economic  
18 of Salem Number 2 coming into service.

19 Q And what then are the distinguishing characteristics  
20 between Salem 2 and Limerick that might produce an advantage  
21 in the case of Limerick but not in the case of Salem 2?

22 A Mr. Sayre gave me a theoretical cost of Limerick,  
23 \$2 billion-plus. I don't know how that compares to Salem's  
24 actual cost. I don't know what the expected -- I don't recall  
25 what the expected capacity factor of Salem is versus what we

1 we would estimate for Limerick. There are two different  
2 locations, two different plants.

3 There are many factors that would have to be  
4 evaluated. I think I agreed with you earlier that if Limerick  
5 coming on line today would probably carry its own weight in  
6 terms of carrying charges, that Salem would also. But you  
7 would have to do a study, and we haven't done one of Limerick  
8 and we haven't done a recent one of Salem.

9 Q At page 10 of your testimony you state that a  
10 consideration in the 1976 delay decision was the principle  
11 that a utility should not build additional facilities which  
12 would not be useful within a reasonable time following their  
13 completion. Is that correct?

14 A That is correct.

15 Q If anticipated load growth does not materialize  
16 in the next several years -- and this is in line with the  
17 last question -- would the company apply the same principle  
18 and delay completion of Limerick once again?

19 A If we can produce sufficient earnings to attract  
20 the capital, then I would say the answer is probably no, we  
21 would continue to build the plant as now scheduled, because  
22 what I was talking about here was the environment and the  
23 practices that we had followed and been urged to follow by  
24 the Commissions up until 1976, plus consideration of the  
25 basic economics that we face when we put a Limerick in service.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

In those years, it was generally true that in putting a unit in service that it would take a few years before the savings would cover the carrying charges. But now as we project, Limerick will save more than its carrying charges. The fuel savings will be more than its carrying charges, so even if load growth is reduced from what we now anticipate, I would recommend, given the financial capability to do so, that I would recommend that we keep Limerick on its present schedule in order to achieve those net savings for our customers as soon as possible, and to bring the unit in at its lowest first cost.

Q Again, in line with Salem 2, isn't it correct that that plant will return to the PECO system in 1985 approximate at the same time that you plan to bring Limerick 1 on line?

A Well, the contract that we have written with Jersey Central calls for selling the output to Jersey Central through 1974 with the ability to bring it back to Pennsylvania ratepayers unless the two parties wish to continue the agreement further. There are provisions to continue it beyond 1974 upon mutual agreement.

MR. SAYRE: Do you mean 1984?

THE WITNESS: Yes, 1984. Excuse me.

BY MR. POPOWSKY:

Q Is it your current plan to bring Salem 2 back onto the PECO system?

1           A     I don't think we have really made up our minds.  
2     It would depend upon the situation at the time.

3           Q     But at that time, if you did bring it back it  
4     would be on the assumption that the fuel savings at that  
5     point would be sufficient to warrant not only the addition  
6     of Limerick 1 to the PECO system, but also the return of  
7     Salem 2?

8           A     Most likely, based on our assumptions of fuel  
9     escalation and the same capacity factor of in the range of  
10    the high '60's, that the fuel savings would be more than the  
11    carrying charges on the investment in 1985.

12          Q     At page 11 of your testimony, in referring to  
13    the 1976 decision to delay completion of Limerick, you state  
14    that there was a risk perceived by the company that if the  
15    company brought Limerick on line as scheduled that plant  
16    might be subject to exclusion on the basis of excess capacity  
17    is that correct?

18          A     Correct.

19          Q     Nevertheless, was it your view that the Commission  
20    would permit the company to continue to accrue AFUDC during  
21    the delay?

22          A     No, we didn't think that that would be allowed.  
23    It is not allowed by FERC. The Federal Energy Regulatory  
24    Commission are the ones that set the accounting standards  
25    on the accrual of AFUDC.

1 Q I think I might have misunderstood your answer.  
2 Are you saying that the company did not continue to accrue  
3 AFUDC on Limerick during this period?

4 A I thought your question related to what might  
5 happen in 1983 or 1985, depending on what year we were lookin  
6 out to. If the company brought the unit on line and it  
7 produced "excess capacity," we thought that there would be  
8 a possibility that the Commission would not allow all or part  
9 of the unit's cost in rate base.

10 Then you asked, "Did we consider the possibility  
11 that instead of that the Commission would allow us to accrue  
12 AFUDC?"

13 Q I am sorry; I misspoke then.

14 Am I correct that AFUDC did continue to accrue  
15 on these plants during that period, and that this AFUDC will,  
16 in fact, show up in the final cost of the plant when and if  
17 it is allowed in rate base?

18 A When you say "did continue during that period,"  
19 what period do you mean?

20 Q Then let's just say during the entire construction  
21 period.

22 A We have never stopped accruing AFUDC in accordance  
23 with the Federal Energy Regulatory Commission accounting  
24 standards, and at a rate which is approved by this Commission

25 Q Then I guess it is a conceptual question: do you

1 see a distinction between the accrual of AFUDC on plant under  
2 construction which would be excess if it were completed, and  
3 an excess capacity adjustment for plant that actually is  
4 brought on line prior to when it is needed?

5 A I just don't understand your question; I am sorry.

6 Q It was your opinion that the Commission would  
7 conceivably make an excess capacity adjustment if the plant  
8 were actually brought on line sooner than it was needed, but  
9 that the Commission would not make an adjustment when the  
10 plant did come on line to the AFUDC -- the additional AFUDC  
11 that accrued as a result of the delay.

12 A Yes, we did not anticipate that with the delay  
13 that the Commission would adjust the final cost of Limerick  
14 when we got around to requesting it in rate base because  
15 we were convinced then and we still are today that Limerick's  
16 final cost, which is now estimated to be \$4.1 billion, would  
17 be what we could justify as a prudent investment or plant  
18 well-constructed under the circumstances; and that there  
19 would be no justification for disallowing part of its cost  
20 when we asked for it to be placed in the rate base.

21 Q Also at page 11 of your testimony you refer to the  
22 short-term benefits of the delay, which would result in the  
23 postponement of carrying charges for Limerick. Wouldn't  
24 those benefits be reduced under the company's proposal to  
25 move the interest expense of Limerick above the line?

1           A       Yes, because at that time we weren't considering the  
 2 interest adjustment. The interest adjustment was just some-  
 3 thing we proposed in the current case. But if then we had  
 4 asked for it and the Commission had indicated yes, they would  
 5 have approved of it, then it would have softened the impact  
 6 considerably of the base rate increase required when we put  
 7 the new unit in service; but the customer in the meantime  
 8 would have had to pay the higher rates in order to support the  
 9 interest adjustment. So the customer would have still, in  
 10 effect, had to pay higher rates, but earlier than what we  
 11 were then anticipating; but to his long-run benefit.-- his  
 12 or her long-run benefit.

13           Q       You also go on at page 12 to cite a preference  
 14 that you perceived the Commission has for short-term benefits  
 15 even if they result in long-term costs. Am I correct that  
 16 you are using as examples of that perception the Commission's  
 17 refusal to include certain CWIP in rate base, and the refusal  
 18 to normalize certain deferred state tax benefits?

19           A       Those are just two examples. There are others.

20           Q       In making that statement, is it your position that  
 21 the Commission did not consider, for example, the time value  
 22 of money involved in those proposed adjustments?

23           A       I have not had the privilege to sit in on all of  
 24 the Commission's deliberations when they made those decisions  
 25 so I don't know what they did or did not consider. But readi

1 it from our viewpoint -- and I think there were statements  
2 made on the record that the Commission preferred to do where  
3 it had the choice of lowering rates in the future, even though  
4 we knew that it meant higher rates -- lower rates in the  
5 short run even though we knew it meant longer rates -- higher  
6 rates in the long run.

7 Q At page 15 of your testimony you refer to the  
8 assumption made regarding the recovery of the sunk costs of  
9 Limerick, and I just wanted to know whether you had analyzed  
10 any other possible scenarios other than, as I understand it,  
11 inclusion of all the sunk costs in rate base for a return over  
12 the life expectancy of the plant. Have you, for example,  
13 analyzed the possibility of an amortization of the costs  
14 over a ten or a twenty year period?

15 A Well, I think that Mr. Lawrence's testimony does  
16 have that one option of abandoning -- one alternative of  
17 abandoning Limerick and collecting its costs over a 20 or  
18 25 year period.

19 (Mr. Lawrence and Mr. Paquette confer.)

20 It has that one case of amortizing the sunk costs  
21 over roughly a 30-year period, and recovery thereby through  
22 rates; but we have not studied other alternatives.

23 Q Just for clarification, would you check to see  
24 if that does not include a return on the unamortized balance?

25 A It does include, as I understand it; it does

1 include a return.

2 Q Then you haven't analyzed amortization over any  
3 period without a return on the unamortized balance?

4 A No, sir. I think it is very obvious that if we  
5 were not allowed to earn a return on \$2 billion of capital,  
6 which represents approximately 40 percent of our outstanding  
7 capital today, you would be in effect wiping out 40 percent  
8 of the company's earnings today, and put us in a position  
9 of probably wiping out completely our common stock earnings.

10 Q Just to clarify that, that assumes the total  
11 inability of the company to write off any of those costs,  
12 am I correct; and that also assumes that you would cancel  
13 both plants as opposed to one plant, for example?

14 A Yes, we are talking about the \$2 billion.

15 Q You then go on to say that you do not believe that  
16 a significant part of your investment could be utilized as  
17 tax write-off; is that correct, on page 15?

18 A Yes. Unless we have significant amounts of  
19 taxable income, the potential tax write-off wouldn't do any  
20 good.

21 Q Do you know whether that was considered in Mr.  
22 Lawrence's program?

23 A I believe in Mr. Lawrence's program the company  
24 would be generating enough taxable income to utilize the tax  
25 write-off.

(Mr. Lawrence and Mr. Paquette confer.)

1  
2 For the one example that Mr. Lawrence does have  
3 in his testimony, he does have sufficient taxable income to  
4 write off for tax purposes the remaining investment, but he  
5 has not studied the other alternative that you may be asking  
6 about, that without getting rate base treatment for the  
7 unamortized costs, would we still have enough taxable income,  
8 we have not studied that.

9 Q So then based at least on that assumption, the  
10 assumptions used in Mr. Lawrence's study, there is available  
11 this tax write-off to the company; is that correct? At least  
12 under that program.

13 A His assumption is that we will collect the cost,  
14 the unamortized cost in rates. When we collect that in rates  
15 that gives you the income to write it off.

16 Q So there wouldn't be a write-off under that  
17 scenario?

18 A There wouldn't be a loss of a write-off because  
19 you automatically are covering it with the revenue that his  
20 scenario provides.

21 Q Just to finalize that point, because you have not  
22 considered amortization without return on rate base, then you  
23 haven't analyzed what level of rates would be necessary under  
24 such a scenario in order to produce the income necessary to  
25 have the taxable income necessary to have that write-off?

1 A Yes, we have not done that.

2 Q You responded to some questions by Mr. Sayre this  
3 morning concerning whether the company would be able to complete  
4 the plant -- complete the Limerick plant as scheduled in the  
5 absence of either an exceedingly high rate of return or some  
6 change in the Commission accounting practices regarding, for  
7 example, CWIP in rate base. When did the company realize  
8 that it could not complete the construction of Limerick  
9 without such circumstances occurring?

10 Q Well, it has sort of been an evolving thing, and  
11 I don't recall when the precise determination was made, but  
12 it was primarily caused by the substantial rise in interest  
13 rates that occurred in 1979 coupled with the much higher  
14 rates of inflation that we then began to experience; and, of  
15 course, the continued lag in obtaining prompt and adequate  
16 rate relief, and then coupled with the impact that this had  
17 on the cost to raise capital, and Limerick's estimated cost,  
18 that it was roughly a year ago or maybe a few months before  
19 that time that we were putting together our new five-year  
20 forecast that we could see that if we continued to earn a  
21 rate of return in the area of only 10 to 11 percent, which  
22 had been our historic maximum for the last ten years as  
23 indicated on Table A, that that would not provide sufficient  
24 mortgage coverage for the significant amount of debt that we  
25 had to finance in the succeeding five years, and that we

1 would need to improve our return on equity -- actually  
 2 achieved return on equity -- well above 15 percent, as I  
 3 remember at that time, which if you then say, "Okay, if we  
 4 are going to earn 15 or 16," recognizing that there is always  
 5 a regulatory lag, that the Commission would probably have  
 6 to grant us returns close to 20 in order to earn 15, as I  
 7 remember the relative numbers; that all that then came to  
 8 a conclusion in the early part of 1980.

9           So it was at that point when we were starting to  
 10 frame out next rate request that we decided that we had better  
 11 ask for some very important accounting changes because we  
 12 did not think that the Commission -- that in today's environ-  
 13 ment that the Commission would be willing to grant us the  
 14 rate of return equity of ten percent; and that we thought it  
 15 would be much more acceptable to the Commission and to our  
 16 customers to provide us with the needed interest coverage  
 17 through something like the interest adjustment for CWIP  
 18 in rate base for which the additional dollars would not flow  
 19 through directly to our shareholders' account but would go to  
 20 reducing the future costs of Limerick, and that the shareholders  
 21 then would get the benefit -- I mean the customer, excuse me  
 22 the customer would get the benefit.

23           The customer, in effect, would be paying slightly  
 24 higher rates until Limerick is finished, but then the customer  
 25 would get the benefit through a lower AFUDC or something of

1 that nature in the future.

2 Q Did you advise the Commission at any time during  
3 the prior rate case, that is 865, or any time prior to the  
4 filing of the current rate case that the company was in this  
5 situation such that it could not complete Limerick without  
6 the change in circumstances that you described?

7 A See, in the prior rate case, interest rates during  
8 the course of those hearing -- the interest rates had not  
9 yet risen. The rise in interest rates occurred in October  
10 of 1979 when Chairman Volker over that one weekend put in  
11 all those new reserve requirements for banks and for money  
12 market funds, etcetera; and the cost of long-term debt rose  
13 I believe from what we were expecting to be roughly 9 percent  
14 to 12.5 percent, and the reason I know is that we had a bond  
15 issue scheduled for the Tuesday after he made that dramatic  
16 move, and I think we were the first utility to come to  
17 market after, and we had to do a lot of soul searching as to  
18 whether this new level of interest rates that prevailed were  
19 going to prevail for a long time or whether it was just a  
20 temporary thing; and we went ahead with the issue and I am  
21 very glad we did; 12.5 percent is a very good interest rate  
22 to pay today.

23 So in that rate case which was then going on, the  
24 world was just not aware of this substantially higher level  
25 of interest rates that were going to prevail, and so we did

1 not have the opportunity because we did not have the knowledge  
 2 that under current ratemaking practices that we do that we  
 3 wouldn't have the mortgage coverage, because in this rate  
 4 case, the one that is now coming to a conclusion, I think  
 5 we made it fairly evident and we put on a strong case that  
 6 we had to have some new ratemaking innovation in order to  
 7 continue and complete the construction of Limerick.

8 Q But you did in early 1980 -- the company through  
 9 its legal representatives did continue to oppose any  
 10 examination of the cost of Limerick or the need for Limerick  
 11 or the delays in Limerick right up to the time at which the  
 12 next rate case was filed; is that correct?

13 A We did oppose it in rate cases because we didn't  
 14 think that that was the proper subject for rate cases because  
 15 we were not asking for Limerick in those rate cases in rate  
 16 base, and I think our opinion was sustained by both the  
 17 Administrative Law Judge in that case and ultimately by the  
 18 Commission, that it was not a proper subject for the rate  
 19 cases.

20 Q But the Commission, am I correct, at that time in  
 21 April, 1980 was not aware that the company was intending to  
 22 include it in its next rate case, the interest adjustment  
 23 for Limerick and certain other accounting changes directly  
 24 related to improving the company's cash flow?

25 A That's right. In April, 1980 the Commission was

1 not aware of that; that is correct.

2 MR. YOUNG: I think the record should show however  
3 that in every one of those cases starting back in the early  
4 '70's, the company as well as its counsel made extensive  
5 arguments to the Commission regarding the need for higher  
6 rates and a higher return on equity in order to achieve the  
7 levels of return being proposed by the Commission; and the  
8 company consistently failed to be allowed those, and it was  
9 certainly said throughout all of that that this was going to  
10 have its impact on the company's level of services, on its  
11 construction program and on its financial well-being.

12 BY MR. POPOWSKY:

13 Q If the company had received the full \$123 million  
14 that it requested in the last case, would it have been  
15 necessary to make any proposals to the Commission in the  
16 present rate case for the type of accounting changes that  
17 were requested in the present case?

18 A Yes, I believe we still would have because the  
19 Commission did give us a rate increase of roughly \$90 million  
20 as opposed to the \$123 million that we had requested, so that  
21 was only -- I shouldn't say "only," but it was a disallowance  
22 of some \$30 million; and as requested in this rate case, we  
23 feel that we should have for the accounting change a rate  
24 increase of approximately \$80 million.

25 What we need is far greater than what they disallo

1 in the last case.

2 Q In fact, am I correct that a total of \$161 millio  
3 of the present rate case is attributable to accounting  
4 changes proposed by the company, which are designed to impro  
5 its cash flow and interest coverage ratios and the quality  
6 of its earnings?

7 A Right; but not all of the \$161 million improves  
8 every one of those items. About \$17 million was for spent  
9 fuel -- future spent fuel costs, and that improves cash flow  
10 but that does not improve interest coverage.

11 Of the remainder -- I believe all of the rest  
12 probably would fall in the category of improving interest  
13 coverage ratio, the remainder of the \$161 million.

14 MR. POPOWSKY: Your Honor, I have probably about  
15 15 minutes more. Perhaps this would be a good time to take  
16 a break.

17 JUDGE KLOVEKORN: I want to ask what the company's  
18 pleasure is. Would the company prefer to continue without  
19 a luncheon recess?

20 MR. YOUNG: Do you mean all day without a luncheon  
21 recess?

22 JUDGE KLOVEKORN: I don't believe that we have  
23 that much more after this. We have two more questioners.

24 MR. SAYRE: Could we go off the record for a momen

25 JUDGE KLOVEKORN: Yes.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

(Discussion off the record.)

JUDGE KLOVEKORN: Let's recess until 2:00.

(Whereupon, at 12:45 p.m. the hearing was adjourned to be reconvened at 2:00 p.m. this same day.)

85  
AFTERNOON SESSION

(2:00 p.m.)

1  
2  
3 JUDGE KLOVEKORN: Let us resume.

4 Mr. Popowsky?

5 MR. POPOWSKY: I just have a couple more questions,

6 Your Honor.

7 Whereupon,

8 JOSEPH F. PAQUETTE, JR.

9 having previously been duly sworn testified further as follows

10 CROSS-EXAMINATION (Continued)

11 BY MR. POPOWSKY:

12 Q You spoke earlier of the company's mortgage  
13 coverage requirement of 2.0; is that correct?

14 A That is correct.

15 Q How long has that been the relevant mortgage  
16 coverage test for this company?

17 A I believe it has been since the original mortgage  
18 which goes back into probably the '20's.

19 Q To the 1920's?

20 A I believe so.

21 Q At page 16 of your testimony, you refer to capital  
22 needs related to SO<sub>2</sub> removal equipment at Eddystone and  
23 Cromby.

24 A Right.

25 MR. POPOWSKY: I think I would like to make a

1 data request, rather than ask you to supply the information  
2 now. Could you specify what those needs are, and give the  
3 dates of the plant expenditures for those projects.

4 That is all the questions that I have.

5 JUDGE KLOVEKORN: Thank you.

6 Ms. Zitzer?

7 CROSS-EXAMINATION

8 BY MS. ZITZER:

9 Q You mentioned that one of the other changes that  
10 enabled the company in 1974 to reduce their spending program  
11 was the delay at that time of the Fulton project, and I  
12 believe you said that at that point Fulton was delayed to  
13 a 1984 and 1986 schedule.

14 Could you tell me since then what additional  
15 delays and/or changes in the Fulton schedule been enacted  
16 by the company?

17 A Well, we have eventually just completely eliminate  
18 that altogether from our schedule. I believe it was official  
19 -- the plans were officially stopped probably in 1976 --  
20 probably with the 1976 changes -- and then we -- yes, 1975  
21 or 1976 -- one of the reasons being that the designer,  
22 General Atomics, was sort of phasing itself -- I believe  
23 Fulton was going to be an HTGR reactor, High temperature-gas  
24 cooled reactor, to be built by General Atomics.

25 At just about that time they were getting out of

COMMONWEALTH OF PENNSYLVANIA

PUBLIC UTILITY COMMISSION

SEP 22 4 29 PM '81

SECRETARY'S OFFICE  
PUBLIC UTILITY  
COMMISSION

-----x  
:  
4 Limerick Nuclear Generating Station :  
Investigation :  
5 Further Hearing. :  
6 :  
-----x

Docket Number  
I-80100341

Pages 3321 through 3430

Hearing Room 1  
State Office Building  
Broad and Spring Garden Sts.  
Philadelphia, Pennsylvania

Wednesday, September 16, 1981

Met, pursuant to adjournment, at 10:00 a.m.

BEFORE:

JOSEPH J. KLOVEKORN, Administrative Law Judge

APPEARANCES:

WALTER R. HALL, II, Esquire  
Morgan, Lewis and Bockius  
2100 The Fidelity Building  
123 South Broad Street  
Philadelphia, Pennsylvania 19109  
(For Philadelphia Electric Company)

GREGG C. SAYRE, Esquire  
PUC Trial Staff  
P.O. Box 3265  
North Office Building  
Harrisburg, Pennsylvania 17120  
(For the Public Utility Commission Trial Staff)

IRWIN A. POPOWSKY, Esquire  
1425 Strawberry Square  
Harrisburg, Pennsylvania 17120  
(For the Office of Consumer Advocate)

1 realize, not what they give you.

2 Q Independently of what the company earns -- actually  
3 earns on what rates the Commission gives it though, isn't it  
4 true that you will get better interest coverage for financing  
5 through common stock than through financing by debt?

6 A All other things being equal and not changing.

7 Q That's right.

8 A In theory, I think that is probably true.

9 Q Have you done any research or market analysis to  
10 determine whether additional common stock issues in 1976  
11 through 1978 would have had a substantial impact on the market  
12 price of the stock?

13 A Have I personally done such an analysis?

14 Q Or are you aware of any?

15 A I am not aware of any particular analysis that was  
16 done that addresses that particular question. I am aware  
17 generally of the position of the company during those years,  
18 as cited numerous times through the hearing, and I believe  
19 summarized in some press releases before, that the long-term  
20 goal was to minimize financings until the condition of the  
21 company improved; so thereby indicating that, you know, I  
22 don't know in theory if "x" additional shares could have been  
23 issued, but the general understanding or the general position  
24 of the company, as expressed numerous times, was that we were  
25 in poor financial condition during those times, and that we

1 wanted to minimize additional financings. That was one of the  
2 reasons.

3 Q Hasn't the company generally considered itself in its  
4 last few rate cases to have been in fairly poor financial  
5 condition continuously from then to the present?

6 A I don't think it has improved markedly, no.

7 Q But you don't know what either the short-term or the  
8 long-term probable effects would have been from additional  
9 common issues in 1976 and 1978?

10 A It would have raised rates immediately. I would  
11 think we would have had to go for more return. It would have  
12 been a short-term rate increase, at a minimum.

13 Q So that might have improved the situation somewhat?

14 A Yes.

15 Q Was that a "yes"?

16 A Yes. It would have given us additional coverage, if  
17 that is what you meant with that particular question. I would  
18 also have given us higher rates.

19 Q Do you agree that if construction hadn't been delayed  
20 by two years that the direct total construction expenditures  
21 to complete Limerick would have been less overall?

22 A Are you talking from 1983-85 to 1985-87?

23 Q Right.

24 A I think yes, that's true. It would have been less  
25 expensive.

Before the  
PENNSYLVANIA PUBLIC UTILITY COMMISSION  
LIMERICK INVESTIGATION  
I-80100341

Direct Testimony  
of  
Donald L. Birx

Concerning:

Adjustments to the Cost of Limerick  
Funding Alternatives  
Revenue Requirements

-155-

SUMMARY

The delays forced by management upon the construction schedule of Limerick have created soaring cost prospects for this plant which threaten a financial crisis for the Company and an onerous burden for the customers. If the plant is to be completed, the adoption of some form of customer financing could mitigate these problems.

PECO cannot avoid responsibility for the problem. The mammoth construction program undertaken by PECO in the 70's was void of the usual safeguards normally incorporated by prudent management resulting in the Company assuming an inordinate degree of risk. The cost consequences of these decisions should not now be underwritten by the customers.

---

~~This testimony considers a number of adjustments to the cost of Limerick~~ which would be appropriate and compares the revenue requirements associated with various means of financing the remaining construction of the plant. The consequences of cancelling Limerick and replacing it with coal fired generation are also considered. Depending upon the scenario adopted, the savings to the customers can be as large as \$10 billion over the life of the plant.

Q. Please state your name and the name and address of your employer.

A. Donald L. Birx. I am employed by the Pennsylvania Public Utility Commission, P. O. Box 3265, Harrisburg, Pennsylvania 17120.

Q. What is your position with the Public Utility Commission?

A. I am Supervisor of the Engineering Section in the Electrical Division of the Bureau of Rates.

Q. Describe briefly your educational background and professional qualifications.

A. My educational background and professional qualifications are presented in resume form, in the attached Appendix A.

Q. Describe your experience with the Pennsylvania Public Utility Commission.

A. I joined the Public Utility Commission in August 1977. I have conducted analyses in support of the Generic Electric Rate Structure Investigation and since the publication of the Final Report on 76-P.R.M.D.-7 in December, 1977, I have been involved with valuation studies in all electric rate cases coming before the Commission.

Q. What is the purpose of your testimony?

A. The purpose of my testimony is as follows:

1. To demonstrate that PECO imprudently placed itself in a high risk position by embarking on a mammoth construction program in the 70's dependent solely on its own resources for support.
2. To point out that the Company's reaction to the drop in revenue growth following the Arab oil embargo, which was to delay the construction schedule 4 years, has caused the cost of Limerick to soar and has created the need for extraordinary funding by ratepayers if Limerick is to be completed.

3. To examine whether or not Limerick is still needed.
4. To provide a comparison of revenue requirements associated with various means of financing Limerick if it is to be completed and for a replacement coal plant if Limerick is cancelled.

Q. In the Trial Staff's prehearing memorandum it is stated that the Limerick Nuclear Station presents one of the greatest problems this Commission has ever had to face. Do you agree with this statement?

A. Yes, I do. The Limerick situation rivals the TMI problem in magnitude without the causitive feature of the accident. The only "accident" I have found associated with Limerick was the cut-back in usage of electrical energy following the Arab oil embargo. This has had a serious effect on PECO because of the high risk position they occupied at the time.

Q. Do you mean that the Limerick program was a high risk undertaking?

A. Yes. First of all the program, as originally planned, had to be conceived as being a high risk operation. Prior to the Limerick project, the Company had planned its nuclear construction program in reasonable steps, spreading the risks through joint ownership, e.g. Peach Bottom. With Limerick, however, PECO undertook the simultaneous building of two units, each the size of Peach Bottom--depending solely upon its own resources. Limerick of course, was not the only major construction program undertaken. During the same time frame, PECO was to complete Peach Bottom 2 & 3 and Eddystone 3 and 4 and Salem 1 and 2.

Furthermore, the site chosen for Limerick was without sufficient water to supply the needs of the station. The Atomic Safety Licensing Board warned of this situation at the time the construction permit was issued. The company, however, urged that the permit be issued "upon the basis of whatever volume of water Applicant can procure--even though Applicant is thereby abandoning the

prospect of year round full power operations as first contemplated," (Appendix B).

The full operation of the station would depend on water piped from the Delaware, with associated reservoirs and from the time construction started until the present, PECO has not had full assurance that this would be permitted.

Q. When did problems with Limerick begin to surface?

A. I would place the date at the time of the Arab oil embargo in 1973. Kilowatt hour sales declined and growth in the peak usage of electrical energy ceased at that time and was destined to remain "zero" over the next six years. (Schedule 1). These events, it should be noted took place approximately in coincidence with the receipt of the construction permit for Limerick. Had PECO been wise enough to believe the indicators in 1974, Limerick would have been stopped at that time.

Q. How did PECO respond to this situation?

A. First of all, it took them approximately 2 years to accept the fact that the decline in usage was going to a long-term trend. In 1976 PECO responded by instituting a 2-year delay in the construction of Limerick. This was followed in 1978 by a second 2-year delay.

Q. Do you believe that this was a proper response?

A. No. In fact, Mr. Boyer testified in R.I.D. 438, p. 2 of Respondent's Exhibit B-5 that "new nuclear generating units should be added as scheduled since a delay would increase the long-run levelized costs, although short-run revenue requirement would be less." (Schedule 2).

Q. Then why were the delays ordered?

A. The reason for both these delays was cited by Mr. Paquette in R.I.D. 438 (TR

843 and TR 8426) as the same, namely lower projected load growth. Lately, the Respondent's testimony has been modified to include financial constraints in addition to reduced load forecasts as the reasons for the delays. Thus the testimony of Mr. Paquette in R.I.D. 438 was inconsistent with that of Mr. Boyer. The delays certainly were not in the best interest of the customer.

Q. How have the delay decisions affected the cost of Limerick?

A. Exactly in the way Mr. Boyer predicted. Schedule 3 is a plot of nuclear generating unit costs expressed in \$/KW as a function of the in-service date. This plot was an exhibit of the Respondent in R.I.D. 438. I have extended it through 1992 based on supplementary cost predictions obtained recently. In particular, reference is invited to Appendix C which is a copy of a paper given by Mr. D. J. Kettler of EBASCO. In this paper Mr. Kettler provides an informed estimate of the cost of a nuclear plant coming on line in 1992 incorporating the modifications ordered by the NRC as a result of the TMI incident.

Superimposed on this curve are the cost estimates made periodically by PECO for Limerick together with the dates on which these estimates were made. It will be noted that the estimated cost for Limerick has been rising almost vertically since 1974. These rising cost estimates can all be attributed almost entirely to the delays.

Q. What could have been done to prevent this predicament?

A. Early detection is always the key to successful action. Had PECO come to the Commission in 1974, we would have been dealing with a \$250 million problem. In 1975 the problem had grown to \$321 million. Today, we are confronted with a \$2.0 billion problem. The Commission Staff and various intervenors have attempted to bring the Limerick issue before the Commission in every rate case

beginning in R.I.D. 430. In every case, PECO has argued successfully that Limerick was not an issue. As a consequence, we are now at a point where a solution may not be obtained without harm to both the Company and the ratepayers.

Q. Why do you believe the Company resisted an investigation of Limerick?

A. I don't know, unless they reasoned that with more money invested, cancellation would be more difficult. It is evident to me that there is a strong desire on the part of the Company to have the plant regardless of cost.

Q. If Limerick is completed, do you believe that the final cost will be \$4.12 billion as stated in PECO's latest estimate (Schedule 4).

A. No. It is apparent to me that no more confidence can be placed in the \$4.12 billion figure than in any of the other estimates made during the construction of the plant. An interrogatory, still outstanding at the time of this writing, ~~attempts to examine the degree of confidence PECO has in this number.~~

Q. In your opinion, will Limerick still be of benefit to PECO's customers?

A. Probably, yes. PECO's analysis and our investigation (Trial Staff Statement JNG-1) show that if Limerick is able to maintain a reasonable capacity factor, the customers will, over time, benefit from the plant. However, the situation is similar to receiving a 1% raise in salary. One cannot deny that it would be of benefit, but it is ludicrously small in comparison with that which would be considered proper in terms of the size and risk of the project.

The delays and resulting cost overruns associated with Limerick have already eaten away much of the advantage the customers have a right to expect from such a plant, and this erosion is likely to continue in view of the fact that the Respondent apparently is unable to express any degree of confidence in the latest cost estimate. The benefit that still remains is primarily the result of the high cost generation with which PECO is saddled. Even though PECO has adequate generation (including reserves) for its system, the economics are such that even in off-peak periods 30 to 35% of the system energy require-

BEFORE THE  
PENNSYLVANIA PUBLIC UTILITY COMMISSION

LIMERICK INVESTIGATION

I-80100341

Exhibits to Accompany The


Direct Testimony

of

Donald L. Birx

Concerning:  
Adjustments to the Cost of Limerick  
Funding Alternatives  
Revenue Requirements

### PHILADELPHIA ELECTRIC COMPANY SYSTEM ELECTRIC PEAK LOAD



Date	Estimated Service Dates		Reason	Millions of Dollars		AFC	Inflation Rate (%)	AFC Rate (%)
	Limerick #1	Limerick #2		Booked Construction Costs Without AFC	Estimated Remaining Construction Costs Without AFC			
9/71	5/76	5/77	Revised Bechtel construction schedule	28	590	97	6.0	8.0
5/72	5/77	5/78	Construction permit not received	57	561	109	6.0	8.0
7/72	8/78	1/80	Construction permit not received	61	857	284	9.5	8.0
8/73	7/79	12/80	Construction permit not received	109	812	277	9.5	7.5
10/74	4/81	4/82	Financial constraints	223	774	270	9.5	7.75
5/75	4/81	4/83	Reduced load forecast & financial constraints	284	958	461	9.5	8.0
5/76	4/83	4/85	Reduced load forecast & financial constraints	417	1,185	657	7.8	8.2
5/78	4/85	4/87	Revised Bechtel construction schedule	720	1,147	1,090	6.5	7.1*
12/80	4/85	10/87	Revised Bechtel construction schedule	1,135	1,424	1,171	8.5	8.6*

Reflects revised method of calculating AFC which is determined by dividing the after-tax cost of capital related to total CWIP base including prior AFC.

100  
-f. v.  
Trial Staff Statement No. REN-1  
Witness: R. E. Nellis

Before the  
PENNSYLVANIA PUBLIC UTILITY COMMISSION  
LIMERICK GENERATING STATION INVESTIGATION

Docket No. I-80100341

Direct Testimony

of

Richard E. Nellis

Concerning:

Costs of Construction Delays  
of Limerick Generating Station

Cr.

to extend,

- 3) the construction remaining, in constant dollars,
- 4) the AFC rate, and
- 5) the inflation rate,

I have calculated the remaining construction costs and remaining AFC to be booked. By assuming alternative values for (1), and comparing the results, the rate base effects of delays were determined. In calculating the value of the remaining construction costs to be booked, I have recognized that inflation would be compounding on a diminishing amount, due to the fact that remaining construction is getting smaller as construction is carried on.

The calculation of the remaining AFC took into consideration the fact that AFC is computed monthly, and compounded semi-annually. General practice, and I understand PECO's practice, is to compute monthly AFC on

- 1) total costs, construction and AFC, booked at the end of the previous fiscal six-month period, plus
- 2) construction costs incurred from the beginning of the present fiscal six-month period to the end of the month prior to the present month, plus
- 3) one-half the construction cost incurred in the present month. I have also recognized that inflation is continuously escalating the cost of the remaining construction. The procedure is more fully described in Appendix B of this statement, and in a paper, co-authored with Professor Dunn, which I am scheduled to present at the annual meetings of the Eastern Economic Association in April.

Q. Please explain Schedule 2 of your exhibit.

A. Page 1 of the schedule enumerates the costs of each of the various construction delays from that of October 1974 through the latest at December 1980. For example,

prior to October 1974, Unit 1 was scheduled for completion in July of 1979, and Unit 2 in December of 1980. In October of 1974 the Company decided to postpone the completion date of Unit 1 to April 1981, and Unit 2 to April 1982. This delay added approximately 130 million dollars to the construction costs of the plant, and approximately 218 million dollars in AFC, or a total of 348 million dollars. The following May, Unit 2 completion was rescheduled for a year later. This resulted in approximately 120.6 million dollars additional to the cost of the plant. The rest of the schedule is similarly interpreted.

Page 2 of Schedule 2 of my exhibit presents the incremental costs associated with two additional one-year postponements. As shown on the schedule, an additional year's delay would add about 344 million dollars to the cost, and a second year's delay would add another 372 million dollars to that.

Q. What is presented on Schedule 3?

A. Schedule 3 shows the approximate annual expenses associated with the individual construction delays shown on Schedule 2. The "Average Associated Return" is based on the 10.5% allowed by the Commission in R-79060865 applied to the average effect of the delay on rate base. "Annual Depreciation Expense" is calculated simply on a straight line basis over an assumed thirty-five year life span, for illustrative purposes.

Q. Please explain Schedule 4.

A. Schedule 4 is the supporting data for the estimated costs of the delays, presented on Schedule 2. Page 1 of Schedule 4 shows the estimated cost of Limerick as it is now contemplated, had no construction delays been ordered at October 1974 and subsequently. The data indicates that if the plant as presently designed had been completed by December 1980, the cost would have been approximately \$2.5 billion dollars.

Trial Staff Exhibit No. REN-1A  
Witness: R. E. Nellis

Before the  
PENNSYLVANIA PUBLIC UTILITY COMMISSION  
LIMERICK GENERATING STATION INVESTIGATION  
Docket No. I-80100341

Exhibit to Accompany  
the  
Direct Testimony  
of  
Richard E. Nellis

Concerning:  
Costs of Construction Delays  
of Limerick Generating Station

Philadelphia Electric Company  
Limerick Generating Station

Costs of Construction Delays  
October 1974 through December 1980  
(\$000)

<u>Delay</u>	<u>Completion<sup>a</sup></u>		<u>Construction</u>	<u>Costs<sup>b</sup></u>	
	<u>Unit 1</u> 7/79	<u>Unit 2</u> 12/80		<u>AFC</u>	<u>Total</u>
1. 10/74	4/81	4/82	130,140	218,109	348,249
2. 5/75	4/81	4/83	39,311	81,318	120,629
3. 5/76	4/83	4/85	168,248	337,757	506,005
4. 5/78	4/85	4/87	188,887	407,894	596,781
5. 12/80	4/85	10/87	<u>24,962</u>	<u>53,229</u>	<u>78,191</u>
All			<u>551,548</u>	<u>1,098,307</u>	<u>1,649,855</u>

a PECO response to Trial Staff Interrogatory IR-1, 1-8.

b Schedule 4, pp. 2-6.

Philadelphia Electric Company  
Limerick Generating Station

Costs of Additional Construction Delays<sup>a</sup>  
(\$000)

<u>Additional Delays</u>	<u>Completion</u>		<u>Construction</u>	<u>Costs</u>	
	<u>Unit 1</u>	<u>Unit 2</u>		<u>AFC</u>	<u>Total</u>
First year	4/85	10/87			
	4/86	10/88	103,351	240,585	343,936
Second year	4/87	10/89	109,218	262,721	371,939

<sup>a</sup> Schedule 4, pp. 7-8.

Before the  
PENNSYLVANIA PUBLIC UTILITY COMMISSION  
LIMERICK INVESTIGATION  
I-80100341

Rebuttal Testimony  
of  
Donald H. Muth  
to  
Witness Joseph F. Paquette, Jr.

Concerning  
The Financial Necessity for Delaying the  
Limerick Project in 1976 and 1978

1 Q. ARE YOU THE SAME DONALD H. MUTH WHO PREVIOUSLY PRESENTED TESTIMONY  
2 IN THIS INVESTIGATION?

3 A. Yes. My previous testimony was contained in Trial Staff Statement  
4 No. DHM-1 and Exhibit No. DHM-1A.

5 Q. MR. PAQUETTE HAS TESTIFIED THAT PECO'S FINANCIAL DIFFICULTIES WERE  
6 A CONTRIBUTING REASON FOR THE 1976 AND 1978 DELAYS IN THE LIMERICK  
7 CONSTRUCTION SCHEDULE. DO YOU AGREE WITH HIS ANALYSIS?

8 A. No, I do not. It is clear from Mr. Paquette's testimony that the  
9 rescheduling was made primarily to match capacity additions with  
10 lower load forecasts. In regard to the 1978 announced delay, PECO  
11 continued to authorize and spend the additional dollars needed to  
12 maintain the 1983-1985 completion dates for units one and two.  
13 Financial difficulties obviously could not have been a reason for  
14 the announced delay.

15 In regard to the 1976 delay, it is my opinion that the capital  
16 could have been raised by PECO if it had desired to maintain the  
17 construction schedule.

18 Q. WHAT IS THE BASIS OF YOUR ASSERTION THAT PECO COULD HAVE RAISED THE  
19 NECESSARY CAPITAL IN 1976, 1977 AND 1978 IF LIMERICK HAD NOT BEEN  
20 DELAYED FOR LOAD GROWTH REASONS?

21 A. My reasons are summarized below:  
22 - The revised construction expenditures as set forth by the  
23 Spring 1976 Forecast reduced the need for new financing by  
24 only \$176,000,000 over the three year period 1976, 1977 and  
25 1978.

1 - The economic and stock market conditions improved measureably  
2 during the period, 1976 to 1978, providing PECO with the  
3 opportunity to issue additional preferred and common stock.

4 - PECO'S mortgage indenture coverage provided some leeway to issue  
5 additional long-term debt during the period.

6 Q. HOW MUCH WAS THE NEED FOR NEW FINANCING REDUCED ON A YEAR TO YEAR  
7 BASIS AS A RESULT OF THE 1976 SPRING FORECAST?

8 A. Schedule No. 1 provides a summary of the change in new financing  
9 for each of the years 1976, 1977 and 1978. As shown by this  
10 schedule, new financing needs were reduced by \$56,000,000 in 1976,  
11 \$44,000,000 in 1977, and \$76,000,000 in 1978.

12 Q. PLEASE EXPLAIN THE CHANGES WHICH TOOK PLACE IN THE ECONOMY DURING  
13 THIS PERIOD AND THEIR EFFECT ON THE CAPITAL MARKETS.

14 A. Schedule No. 2 is a reproduction of a page from the Business  
15 Conditions Digest showing business cycle activity as measured by  
16 various economic indicators. A review of this schedule reveals  
17 that the trough of the 1974-1975 recession occurred in March, 1975.  
18 Long-term interest rates remained at a high level during 1975 but  
19 began to decline in 1976. Schedule No. 3 shows monthly bond yields  
20 for Moody's A rated utility bonds for the years 1974 through 1980.  
21 This schedule demonstrates that long-term bond rates were at a lower  
22 level during the 1976-1978 period than in the preceding or subsequent  
23 period.

24 Schedule No. 4 provides a summary of inflation rates for the  
25 years 1969-1980. This schedule clearly shows that inflation  
26 decreased measureably during the period 1976-1978.

1 Q. WHAT IMPACT DID THE IMPROVED ECONOMIC CONDITIONS DURING THE YEARS  
2 1976, 1977 AND 1978 HAVE ON PECO'S FINANCIAL CONDITION?

3 A. PECO'S financial performance did not materially improve during the  
4 period. As shown on Schedule No. 5, PECO'S earnings per share,  
5 return on common equity and interest coverage ratios remained relatively  
6 flat although they did show some improvement over the recession years  
7 of 1974 and 1975. However, despite a relatively flat earnings perfor-  
8 mance, PECO benefited from the general improvement in the economy and  
9 the financial markets. Schedule No. 6 demonstrates that PECO'S common  
10 stock increased in value during the years 1976 to 1978. PECO'S market  
11 to book ratio was 87.2% in 1976, 100.6% in 1977 and 91.8% in 1978.  
12 Schedule No. 8 is a summary of PECO'S common stock issues for the  
13 period 1974-1980. This schedule shows that PECO was able to issue  
14 common stock at 88.1% of book value in 1976, 101.5% in 1977 and 90.6%  
15 in 1978.

16 Q. HOW COULD PECO HAVE FINANCED \$176,000,000 OF ADDITIONAL CONSTRUCTION  
17 DURING 1976, 1977 AND 1978 IF THE LIMERICK PROJECT HAD NOT BEEN  
18 POSTPONED?

19 A. PECO could have financed the construction in a variety of ways. In  
20 1976, PECO'S mortgage coverage ratio was 2.5 times. If PECO had not  
21 reduced its 1976 construction expenditures by \$56,000,000 and had  
22 financed these additions with first mortgage bonds, its mortgage  
23 coverage ratio would have only been reduced to 2.4 times as calculated  
24 below:

1	Net Earnings Under the	
2	Mortgage Indenture at	
3	December 31, 1976	<u>\$314,571,000</u>
4	Annualized Interest on	
5	Mortgage Bonds Outstanding	\$125,308,000
6	Additional Interest from	
7	Issuing \$56,000,000 of	
8	First Mortgage Bonds at	
9	10%	<u>5,600,000</u>
10	Annualized Interest	<u>\$130,908,000</u>
11	Times Interest Earned	
12	(\$314,571,000 ÷ \$130,908,000)	<u>2.4</u>

13 In fact, PECO could have issued approximately \$320,000,000 of additional  
 14 first mortgage bonds at a 10% interest rate and still maintained its  
 15 two times interest coverage under its mortgage indenture.

16 PECO could also have financed the \$56,000,000 of construction on  
 17 an interim basis through short-term debt. As shown on Schedule 7, PECO  
 18 reduced its short-term debt by \$100,728,000 during 1976. There was  
 19 only \$7,226,000 of short-term debt outstanding on its balance sheet  
 20 at December 31, 1976.

21 PECO could also have issued additional common stock during 1976.  
 22 Although its common stock was still selling below book value at an  
 23 average price of \$16.68 per share, this price was substantially higher  
 24 than the 10,886,340 shares it issued in 1975 at \$12.31 per share.

25 Q. HOW WOULD PECO HAVE FINANCED THE ADDITIONAL \$44,000,000 IN 1977 IF THE  
 26 LIMERICK PROJECT HAD NOT BEEN DELAYED?

27 A. Preferably through the issue of additional common stock. However, this  
 28 construction could also have been financed by first mortgage bonds or,  
 29 on an interim basis, with short-term debt. In 1977, PECO issued  
 30 5,317,952 shares of common stock at an average price of \$19.54, or 101.5%

1 of book value. If PECO had issued another 2,300,000 shares it would  
 2 have had sufficient funds to cover the \$44,000,000 of additional  
 3 construction expenditures. Common stock issued in 1977 would have  
 4 totaled 7,617,952 shares or substantially less than the 10,886,340  
 5 shares issued in 1975 (at \$12.31 per share) or the 9,749,355 shares  
 6 issued in 1980 (at \$14.14 per share).

7 PECO's mortgage coverage ratio was 2.35 times in 1977. If PECO  
 8 had issued an additional \$44,000,000 of first mortgage bonds in 1977,  
 9 its interest coverage would have been reduced to 2.28 times (assuming  
 10 that the \$56,000,000 of additional construction expenditures in 1976  
 11 had not been financed with mortgage bonds) as calculated below:

12	Net Earnings Under the Mortgage	
13	Indenture at December 31, 1977	<u>\$322,942,000</u>
14	Annualized Interest on Mortgage	
15	Bonds Outstanding	\$137,530,000
16	Additional Interest from Issuing	
17	\$44,000,000 of First Mortgage	
18	Bonds at 9%	<u>3,960,000</u>
19	Annualized Interest	<u>\$141,490,000</u>
20	Times Interest Earned	
21	(\$322,942,000 ÷ \$141,490,000)	<u>2.28</u>

22 The issuance of an additional \$44,000,000 of first mortgage bonds  
 23 in 1977 would therefore not have had a material effect on its interest  
 24 coverage. Even if the 1976 and 1977 construction expenditures had both  
 25 been financed with mortgage bonds, the mortgage coverage ratio would  
 26 have only been reduced from 2.35 times to 2.2 times. However, as  
 27 discussed on page 7, I believe the construction should more appropriately  
 28 have been financed with equity capital.

29 PECO could also have financed the \$44,000,000 of additional 1977  
 30 construction through short-term debt. As shown on Schedule No, 7,  
 31 PECO only increased its short-term debt by \$7,649,000 in 1977. There

1 was only \$14,875,000 of short-term debt outstanding on its balance  
2 sheet at December 31, 1977.

3 Q. PECO REDUCED ITS 1978 CONSTRUCTION EXPENDITURES BY \$76,000,000 AS A  
4 RESULT OF THE 1976 SPRING FORECAST. HOW WOULD IT HAVE FINANCED  
5 THIS ADDITIONAL CONSTRUCTION IF THE PROJECT HAD NOT BEEN DELAYED?

6 A. It could have been financed by issuing additional common stock.

7 PECO had no public stock offering in 1978. The 1,888,168 shares that  
8 it issued in 1978 were sold through its Dividend Reinvestment and  
9 Stock Purchase Plan, its Employee Stock Purchase Plan and its Tax  
10 Reduction Act Stock Ownership Plan as shown on Schedule No. 8. The stock  
11 issued through these plans was sold at an average price of \$17.46 or 90.64  
12 of book value. If PECO had held a public sale of stock during the first  
13 quarter of 1978, its per share price would have even been greater than  
14 \$17.46, as shown on Schedule No. 6.

15 PECO's mortgage coverage ratio was 2.37 times in 1978. If PECO  
16 had issued an additional \$76,000,000 of first mortgage bonds in 1978,  
17 its interest coverage would have been reduced to 2.26 times (assuming  
18 no additional mortgage bond issues in 1976 or 1977) as calculated  
19 below:

20	Net Earnings Under the Mortgage	
21	Indenture at December 31, 1978	<u>\$344,947,000</u>
22	Annualized Interest on Mortgage	
23	Bonds Outstanding	\$145,541,000
24	Additional Interest from Issuing	
25	\$76,000,000 of First Mortgage Bonds	
26	at 9.25%	<u>7,030,000</u>
27	Annualized Interest	<u>\$152,571,000</u>
28	Times Interest Earned	
29	(\$344,947,000 ÷ \$152,571,000)	<u>2.26</u>

1 If the postponed 1976 and 1978 construction of \$56,000,000 and \$76,000,000,  
 2 respectively, had been financed with mortgage bonds and the 1977  
 3 construction of \$44,000,000 with common equity, the 1978 mortgage  
 4 coverage ratio would have been 2.18 times. As previously discussed,  
 5 however, I believe that it would have been preferable to finance the  
 6 construction with common equity because of the improved stock market  
 7 conditions during this period.

8 Short-term debt outstanding at December 31, 1978, totaled only  
 9 \$16,129,000. This balance provided sufficient leeway for PECO to  
 10 finance some or all of the \$76,000,000 of 1978 postponed construction  
 11 with short-term debt if it had chosen to do so.

12 Q. COULD PECO HAVE RAISED THE NECESSARY FUNDS IN ANY OTHER MANNER DURING  
 13 THIS PERIOD?

14 A. Yes. It could have sold debentures which would not have affected its  
 15 interest coverage under its mortgage indenture. It could have also  
 16 sold additional preferred or preference stock. In 1977, PECO did not  
 17 issue any preferred stock although it had issued \$50,000,000 worth in  
 18 each of the years 1976 and 1978 as shown on Schedule No. 7.

19 However, all of the capital needed to continue the construction  
 20 program during 1976, 1977 and 1978 could have essentially been raised  
 21 through common stock sales, had there been no delay. The sale of  
 22 additional common stock during this period would have improved PECO's  
 23 common equity ratio and preserved its interest coverage for future  
 24 first mortgage bond issues.

25 Q. DOES THIS COMPLETE YOUR REBUTTAL TESTIMONY?

26 A. Yes, it does.

Before the  
PENNSYLVANIA PUBLIC UTILITY COMMISSION  
LIMERICK INVESTIGATION  
I-80100341

Exhibit to Accompany the  
Rebuttal Testimony  
of  
Donald H. Muth  
to  
Witness Joseph F. Paquette, Jr.

Concerning  
The Financial Necessity for Delaying the  
Limerick Project in 1976 and 1978

Philadelphia Electric Company  
 Construction and Financing Forecast  
 1976-1978

---


	Million \$		
	1976	1977	1978
<u>Spring 1975 Forecast</u>			
New Financing Required	<u>\$264</u>	<u>\$279</u>	<u>\$317</u>
<u>Spring 1976 Forecast</u>			
Construction Expenditures	\$437	\$414	\$390
Less: Internal Funds	<u>229</u>	<u>179</u>	<u>149</u>
New Financing Required	<u>\$208</u>	<u>\$235</u>	<u>\$241</u>
Reduction in New Financing Required	<u>\$ 56</u>	<u>\$ 44</u>	<u>\$ 76</u>

Source: PECO Statement No. 9, Table C.

A

COMPOSITE INDEXES AND THEIR COMPONENTS

Chart A1. Composite Indexes



1948 49 50 51 52 53 54 55 56 57 58 59 60 61 62 63 64 65 66 67 68 69 70 71 72 73 74 75 76 77 78 79 80 1981

NOTE: Numbers entered on the chart indicate length of leads (-) and lags (+) in months from reference turning dates.  
Current data for these series are shown on page 60.

Comparison of Moody's A Rated Utility  
Bond Yield Averages for the Years 1974-1980

Month (1)	Calendar Years							
	1974 (2)	1975 (3)	1976 (4)	1977 (5)	1978 (6)	1979 (7)	1980 (8)	
January	8.36	10.37	9.90	8.61	8.92	9.90	12.27	
February	8.42	9.99	9.71	8.65	8.97	9.84	13.55	
March	8.46	9.72	9.67	8.70	8.98	10.04	14.65	
April	8.77	10.06	9.53	8.71	9.09	10.10	13.87	
May	9.00	10.23	9.55	8.71	9.22	10.30	12.53	
June	9.32	10.10	9.54	8.58	9.40	10.14	12.21	
July	9.66	10.01	9.87	8.51	9.51	9.98	12.26	
August	10.03	10.12	9.13	8.49	9.32	10.14	12.96	
September	10.45	10.19	8.90	8.46	9.28	10.36	13.43	
October	10.78	10.16	8.79	8.61	9.46	11.40	13.58	
November	10.46	10.04	8.76	8.64	9.68	11.89	14.12	
December	10.27	10.11	8.62	8.64	9.70	11.79	14.63	
Average	9.50	10.09	9.33	8.61	9.29	10.49	13.34	

Source: Moody's Bond Record

Annual Rates of Inflation

<u>Time Period</u> (1)	<u>As Measured by the Consumer Price Index</u> (2)	<u>As Measured by the Implicit Price Deflator of Gross National Product</u> (3)
1969	5.4%	5.1%
1970	5.9	5.4
1971	4.3	5.0
1972	3.3	4.2
1973	6.2	5.7
1974	11.0	8.7
1975	9.1	9.3
1976	5.8	5.2
1977	6.5	5.8
1978	7.7	7.3
1979	11.3	8.5
1980	13.5	9.0

Source: Economic Report of the President, January, 1981  
 Economic Indicators, April, 1981

Philadelphia Electric Company  
Summary of Common Stock Issued for  
the Calendar Years 1974-1980

	1974 (1)	1975 (2)	1976 (3)	1977 (4)	1978 (5)	1979 (6)	1980 (7)
Public Sales	\$	\$	\$	\$	\$	\$	\$
Dividend Reinvestment and Stock Purchase Plan			67,680,000	78,340,000	--	63,460,000	101,360,000
Employee Stock Purchase Plan			14,981,000	17,159,000	24,852,000	26,389,000	31,593,000
Tax Reduction Act Stock Ownership Plan			2,760,000	3,483,000	3,871,000	4,416,000	4,863,000
			707,000	4,935,000	4,252,000	5,723,000	--
Total Proceeds	11,151,000	133,723,000	86,128,000	103,917,000	32,975,000	99,988,000	137,816,000
Number of Shares Issued	949,434	10,866,340	5,110,227	5,317,952	1,888,168	6,370,531	9,749,355
Average Price Received for New Common Stock	\$11.74	\$12.31	\$16.85	\$19.54	\$17.46	\$15.70	\$14.14
Proceeds/Book Ratio	58.1%	64.6%	88.1%	101.5%	90.6%	82.4%	75.5%

Source: Annual Reports to Stockholders  
Moody's Public Utility Manuals

BEFORE THE  
PENNSYLVANIA PUBLIC UTILITY COMMISSION

\* \* \* \*

\* \* \* \*

Re: Limerick Nuclear Generating Station  
Investigation, Docket No. I-80100341

\* \* \* \*

\* \* \* \*

Direct Testimony of  
Richard A. Rosen  
On Behalf of The Pennsylvania Office of the Consumer Advocate

February 27, 1981

REVISED

May 5, 1981

1 Q. PLEASE STATE YOUR NAME AND BUSINESS ADDRESS.

2 A. My name is Richard A. Rosen. My business address is  
3 Energy Systems Research Group, Inc., 120 Milk Street,  
4 Boston, Massachusetts 02109.

5 Q. DR. ROSEN, PLEASE DESCRIBE YOUR BACKGROUND AND QUALIFICATIONS.

6 A. I am currently a senior research scientist at Energy  
7 Systems Research Group, Inc., as well as Executive Vice-  
8 President of the firm. ESRG is a non-profit organization  
9 specializing in research on energy-related issues, particularly  
10 research related to electric utilities such as demand  
11 forecasting, reliability modeling, demand curtailment  
12 modeling, and district heating. In May 1979, I completed  
13 directing an extensive critique of the New England Power  
14 Pool Electric Demand Forecasting Model under contract to  
15 the New England Conference of Public Utility Commissioners.  
16 I have also testified on demand forecasting in hearings on  
17 Case #19494 before the Massachusetts Department of Public  
18 Utilities, in Pa. PUC v. Philadelphia Electric Company,  
19 RID #438 (the 1978 rate case), before the Pennsylvania  
20 Public Utility Commission, and before the Michigan Public  
21 Service Commission in Case #U-5979. During 1979, I was  
22 project director for our work that led to Dr. D. Shakow's  
23 testimony on behalf of our firm regarding "Generation  
24 Planning and Reliability" in Pa. PUC v. Philadelphia  
25 Electric Company, R-79060865 (the 1979 rate case), before  
26 the Pennsylvania Public Utility Commission. During 1980, I

1 was project director for the project that culminated in  
2 further testimony by Dr. D. Shakow regarding "Generation  
3 Planning and Reliability" in Case #EO-80-57 before the  
4 Missouri Public Service Commission. In addition, I have  
5 submitted extensive direct and sur-rebuttal testimony in  
6 Case No. I-79070315 and 317 (CAPCO Investigation) before  
7 the Pennsylvania Public Utility Commission on generation  
8 planning and reliability. I have testified on "Generation  
9 Expansion Planning Re: Consumer Power Co." in Case No. U-  
10 6360 before the Michigan Public Service Commission, and on  
11 generation planning in two cases before the Ohio Public  
12 Utilities Commission (80-141-EL-AIR and 79-427-EL-AIR).  
13 That work, as well as prior research, led to the development  
14 of the ESRG Electric System Generation Planning Model  
15 (ESGEM) under Dr. Shakow's and my direction. I have been  
16 principal investigator for a project intended to expand  
17 the ESGEM model which has been funded by the U.S. Department  
18 of Energy, Office of Utility Systems. I have also been  
19 principal investigator at ESRG for the "Electric Demand  
20 Curtailment Study" funded through Brookhaven National  
21 Laboratory by that same office at DOE. Appendix E consists  
22 of a copy of the 1980-81 ESRG brochure which describes the  
23 extensive analytical and modelling capability that exists  
24 at ESRG, and the project support staff. I received my  
25 Bachelor of Science Degree from M.I.T. in 1966 and my  
26 Master's Degree and Ph.D. in physics from Columbia University

1 in 1970 and 1974, respectively. Before joining ESRG, I  
2 did research at the National Center for the Analysis of  
3 Energy Systems at Brookhaven National Laboratory on in-  
4 dustrial energy conservation. In that capacity, I served  
5 as Principal Investigator on two projects involving industrial  
6 process energy modelling for the U.S. Department of Energy.

7 Q. FOR WHOM ARE YOU APPEARING?

8 A. I am testifying at the request of the Consumer Advocate of  
9 Pennsylvania.

10 Q. WHAT IS THE NATURE OF YOUR TESTIMONY?

11 A. In this testimony, I will up-date and expand previous work  
12 regarding the Philadelphia Electric Company analyzing:

13 1) The operating and capital costs associated with  
14 different power plant construction scenarios, including  
15 the Limerick Nuclear Generating Units and feasible alternatives.

16 2) Whether the Company's current estimates for the  
17 cost of Limerick are reasonable.

18 3) The extent to which lowering the demand growth  
19 rate through conservation can lower the future cost of  
20 electricity to ratepayers and replace Limerick.

~~Many technical issues in the area of generation~~  
~~planning were analyzed as part of my testimony. These~~  
~~will be discussed in detail below and in Appendices "A"~~  
~~through "G."~~

costs and oil consumption.

Q. IN LIGHT OF THE NUCLEAR AND COAL PLANT CAPITAL COSTS, O&M, AND CAPACITY FACTOR TRENDS THAT YOU HAVE IDENTIFIED IS IT LIKELY THAT PECO COULD HAVE REALIZED EARLIER THAT LIMERICK WAS NOT COST EFFECTIVE FOR RATEPAYERS?

A. Yes. I believe that better generation planning at least two years ago would have revealed that it was cost effective to ratepayers to cancel the Limerick 2 unit, and probably the Limerick 1 unit also. I say two years ago because by then much of the data I have relied on for analyzing capital and O&M cost trends was available to the utility industry. Similar capacity factor data comparable to that I have relied on was also available then. However, there are additional reasons why cancellation of Limerick may have been even more cost effective for ratepayers two years ago than it is now. First, much less money would have been spent on Limerick as of two years ago, so the penalty to ratepayers for cancellation as we have treated it here would not be so great. Secondly, if alternative coal plants to Limerick were planned two years ago, then they would have come on line two years earlier than indicated in our study here and would have conserved more expensive oil. The coal plants would also have had a significantly lower capital cost than the first two coal plants that we have used to substitute for Limerick. Finally, even as recent as 1978 oil prices were generally not forecasted to rise as fast by 1981 as they actually have. Thus, the then

indicated replacement power from not having Limerick on line by 1985 and 1987 would not be so great as our analysis now indicates. Thus better generation planning by PECO over the past several years could certainly have saved the ratepayers considerable future expense.

SUPPLY ALTERNATIVES TO CONSERVATION OR NEW POWER PLANTS

Q. IN ADDITION TO THE CONSTRUCTION OF NEW NUCLEAR OR COAL-FIRED POWER PLANTS AND THE IMPLEMENTATION OF VARIOUS CONSERVATION MEASURES, WHAT ARE SOME OF THE OTHER POTENTIALLY ECONOMIC GENERATION ALTERNATIVES AVAILABLE TO PECO THAT CAN REDUCE OIL CONSUMPTION WHILE MAINTAINING SYSTEM REALIABILITY?

A. One that I just mentioned, viz. the conversion of oil-fired plants to burning coal, or alternatively, a coal-oil mixture is a strategy which is being implemented or explored by many electric utilities.

Q. WHAT IS THE HISTORY OF PECO'S EXPLORATION OF THESE OPTIONS?

A. PECO, like most utilities, has done relatively little on its own initiative to fully explore these options. They have, however, been forced to respond to federal efforts to reduce petroleum consumption. The Energy Supply and Environmental Conservation Act (ESECA) enacted by Congress in 1974, and the Powerplant and Industrial Fuel Use Act (PIFUA) enacted in 1978, grant the Department of Energy (DOE) discretionary power to order the prohibition of the use of petroleum in power plants capable of being converted to coal. Recently, (as described

ERRATA SHEET  
for  
Direct Testimony Of Richard A. Rosen

<u>Page No.</u>	<u>Line No.</u>	<u>Currently Reads</u>	<u>Should Read</u>
4	21	0.9%	1.1%
	26	\$729	\$1149
5	3	\$624	\$637
	14	\$231	\$232
	16	\$855	\$869
	19	"both Limerick units"	"Limerick Unit No. 2"
	23	\$3,350	\$3,997
6	19	1.1%	0.9%
	19	0.9%	1.1%
12	9	"to 126.8 mills/kwh"	"to approximately 127 mills/kwh"
	10	"182.1 mills/kwh"	"182 mills/kwh"
14	21	"one or both Limerick units"	"at least Limerick Unit No. 2"
18	10	0.9%	1.1%
20	17	0.9%	1.1%
	20	\$564	\$887
	20	\$729	\$1,147
	24	"somewhat"	<del>-deleted-</del>
	26	\$483	\$493
21	1	\$624	\$637
	6	"roughly equal"	"closer"
	7-11	-----REPLACED-----	
	11-15	-----REPLACED-----	



<u>Page No.</u>	<u>Line No.</u>	<u>Currently Reads</u>	<u>Should Read</u>
21	20	"however"	"again"
	20	"Case 'N'"	"Case 'I'"
	20	"neither"	"only"
	21	"unit"	"Unit No. 1"
	22	\$309	\$560
	22	\$400	\$724
	24	"and \$245"	"but only \$138"
	25	\$317	\$178
	26	"completion of unit 1 only (Case "I")."	"cancellation of both Limerick units (Case "N")."
22	7	\$3,350	\$3,997
23	Table 1		
24	19	<del>REPLACED</del>	
	20	\$18,977,000,000	\$18,839,000,000
	20	"(program 'N')"	"(program 'I')"
	22	\$21,568,000,000	\$21,931,000,000
	23	"with Limerick can"	"with both Limerick units can"
	24	\$2,591	\$3,092
	25	\$3,350	\$3,997
25	2	"U"	"I"
	4	"25%"	"29%"
	10	"the Limerick units."	"at least Limerick Unit No. 2."
27	26		sentence added to footnote
36	6-8	<del>REPLACED</del>	
	9	6.3%	4.8%
	10	3.9%	3.3%

<u>Page No.</u>	<u>Line No.</u>	<u>Currently Reads</u>	<u>Should Read</u>
37	Table 3	<del>-----</del>	<del>REPLACED</del>
38	1	\$390	\$448
	3-8	<del>-----</del>	<del>DELETED</del>