

②

COMMONWEALTH OF PENNSYLVANIA

PUBLIC UTILITY COMMISSION

----- X
 :
Letter of Notification of Philadelphia :
Electric Company :
 Relative to reconstructing and : Docket No.
 rebuilding of the existing 138 kv line : A-110550F055
 to Operate as a Woodbourne-Heaton 230 :
 kv line in Montgomery and Bucks Counties: :
 :
 Further Hearings: :
 :
 ----- X

Pages 1533 through 1630 Hearing Room No. 1
 State Office Building
 Philadelphia, Pennsylvania

DOCUMENT FOLDER

Thursday, May 27, 1993

Met, pursuant to notice, at 10:04 a.m.

BEFORE:

HERBERT SMOLEN, Administrative Law Judge

APPEARANCES:

PAUL R. BONNEY, Esquire
 WARD L. SMITH, Esquire
 2301 Market Street
 Philadelphia, Pennsylvania 19101
 (For Philadelphia Electric Company)

TOM WATSON, Esquire
 Crowell & Moring
 1001 Pennsylvania Avenue N.W.
 Washington, D. C. 20004
 (For Philadelphia Electric Company)

SECRETARY'S BUREAU
Information Control Division

RECEIVED
JUN 03 1993

DOCKETED

JUN 14 1993

Commonwealth Reporting Company, Inc.
 700 Lisburn Road
 Camp Hill, Pennsylvania 17011

APPEARANCES (CONTINUED):

PATRICIA KRISE BURKET, Esquire
P. O. 3265
Harrisburg, Pennsylvania 17120
(For Law Bureau Prosecutory Staff)

CHARLES F. HOFFMAN, Esquire
Room 210, North Office Building
Harrisburg, Pennsylvania 17120
(For the Office of Trial Staff)

TANYA McCLOSKEY, Esquire
DIANNE E. DUSMAN, Esquire
1425 Strawberry Square
Harrisburg, Pennsylvania 17120
(For the Office of Consumer Advocate)

ROBERT J. SUGARMAN, Esquire
100 North 17th Street
Philadelphia, Pennsylvania 19103
(For Intervenors, PAUSE)

JESSE DILLON, Esquire
Two North Ninth Street
Allentown, Pennsylvania 18101
(For Pennsylvania Power & Light)

-- 0 --

Commonwealth Reporting Company, Inc.

700 Lisburn Road
Camp Hill, Pennsylvania 17011

(717) 761-7150

1-800-334-1063

C O N T E N T S

1	2	3	4	5	6	7	8	9	10	11	12	13	14	15
	WITNESSES		DIRECT	CROSS	REDIRECT	RECROSS								
	Richard Steven Bockman													
	By Mr. Smith	1537												
	By Ms. McCloskey			1539										
	Charles J. Boeggeman													
	By Mr. Smith	1548												
	By Ms. Dusman			1550										
	By Mr. Sugarman			1557										
	Ronald J. Oedemann													
	By Mr. Bonney	1580												
	By Ms. Dusman			1581										
	By Mr. Sugarman			1584										
	Donald S. Frieman													
	By Mr. Bonney	1590												
	By Ms. Dusman			1591										
	By Mr. Sugarman			1606										
	David E. Janes													
	By Ms. McCloskey	1609												
	By Mr. Sugarman			1611										
	By Mr. Dillon			1618										
	By Mr. Smith			1620										

E X H I B I T S

17	18	19	20	21	22	23	24	25
NUMBER								
	FOR IDENTIFICATION		IN EVIDENCE					
	Philadelphia Electric Company							
	Direct on Remand No. 3 (Bockman)	1537						1538
	Direct on Remand No. 2 (Boeggeman)	1548						1550
	Rebuttal on Remand No. 2 (Boeggeman)	1548						1550
	Direct on Remand No. 1 (Oedemann)	1579						1581
	Rebuttal on Remand No. 1 (Oedemann)	1579						1581
	Rebuttal on Remand No. 3 (Frieman)	1589						1591

E X H I B I T S (CONTINUED)

NUMBER	FOR IDENTIFICATION	IN EVIDENCE
Office of Consumer Advocate		
✓ Statement No. 1B (Janes)	1609	1611

-- 0 --

Any reproduction of this transcript
is prohibited without authorization
by the certifying reporters.

P R O C E E D I N G S

1
2 ADMINISTRATIVE LAW JUDGE HERBERT SMOLEN: Good
3 morning, ladies and gentlemen. This is a hearing in the
4 remanded proceeding in Docket A-110550, Folder 055.

5 I note from the appearance sheet that appearances
6 have been entered on behalf of Philadelphia Electric
7 Company by Paul Bonney and Ward Smith, Esquires, as well
8 as Tom Watson, Esquire; on behalf of the Commission's Law
9 Bureau Prosecutory Staff by Patricia Krise Burket,
10 Esquire; on behalf of the Office of Consumer Advocate by
11 Tanya J. McCloskey and Dianne Dusman, Esquires; and on
12 behalf of Pennsylvania Power & Light by Jesse Dillon,
13 Esquire.

14 I received a telephone call this morning from
15 Charles Hoffman, Counsel for the Office of Trial Staff,
16 who indicated to me that OTS will not be represented
17 today in the hearing room because of conflicts of all its
18 attorneys assigned in this case. However, OTS intends to
19 be present and monitor the remainder of the hearings and
20 expects to be present tomorrow, at which time Mr. Hoffman
21 will further make his position clear.

22 Having said that, are we prepared to proceed with
23 testimony?

24 MR. BONNEY: Yes, Your Honor.

25 JUDGE SMOLEN: Please call your witness, the first

of your witnesses.

1
2 MR. BONNEY: Your Honor, as the only preliminary
3 matter, we sent a letter on May 25 with a proposed order
4 of witnesses and I just would mention that we intend to
5 follow that. The OCA's witness, Mr. Janes, is here as
6 well and I understand that the OCA would like to have him
7 testify and we would be happy to fit him in.

8 JUDGE SMOLEN: First? Before Dr. Bockman?

9 MR. BONNEY: I think he may go after our witnesses.
10 But if time does not permit for some reason then we would
11 fit him in earlier.

12 JUDGE SMOLEN: Let's proceed.

13 MR. BONNEY: The company calls as its first witness
14 Dr. Bockman.

15 Mr. Smith will be conducting the examination.

16 JUDGE SMOLEN: All right.

17 Good morning.

18 You testified in the previous hearing?

19 DR. BOCKMAN: In November of '91.

20 JUDGE SMOLEN: I will swear you in again.

21 Whereupon.

22 RICHARD STEVEN BOCKMAN .

23 having been duly sworn, testified as follows:

24 JUDGE SMOLEN: Please have a seat and keep your
25 voice up. And for this record state your name and

1 address.

2 THE WITNESS: My name is Richard S. Bockman. My
3 address is 535 East 72th Street, New York, New York
4 10021.

5 JUDGE SMOLEN: Mr. Smith, go ahead.

6 MR. SMITH: Your Honor, we have already distributed
7 to Counsel, yourself and to the court reporter copies of
8 PECO Direct on Remand No. 3, the direct testimony on
9 remand of Richard Steven Bockman on behalf of
10 Philadelphia Electric Company. I ask that that be marked
11 for identification.

12 JUDGE SMOLEN: Let me just get my copies of it.

13 (Pause.)

14 JUDGE SMOLEN: It will be marked for identification
15 as you have indicated.

16 (Whereupon, the document was marked
17 as PECO Direct on Remand No. 3
18 for identification.)

19 JUDGE SMOLEN: That is marked as PECO Direct on
20 Remand No. 3.

21 DIRECT EXAMINATION

22 BY MR. SMITH:

23 Q. Dr. Bockman, do you have before you a copy of
24 the document that has just been marked for identification
25 as PECO Direct on Remand No. 3?

A. Yes, I do.

1 Q. Was this document prepared by you or under your
2 direction and supervision?

3 A. Yes, it was.

4 Q. If I were to ask you today the questions set
5 forth in that document would your answers be the same as
6 those contained therein?

7 A. They would be the same.

8 Q. And would your answers be true and correct to
9 the best of your knowledge, information and belief?

10 A. They would be.

11 MR. SMITH: Your Honor, I ask that PECO Direct on
12 Remand No. 3 be admitted into the record pending timely
13 objections.

14 JUDGE SMOLEN: It is received with those
15 qualifications.

16 (Whereupon, the document marked as
17 PECO Direct on Remand No. 3
was received in evidence.)

18 JUDGE SMOLEN: Are you ready for cross-examination?

19 MR. SMITH: Yes, Your Honor.

20 JUDGE SMOLEN: Law Bureau.

21 MS. BURKET: I have no questions.

22 JUDGE SMOLEN: PP&L.

23 MR. DILLON: No questions, Your Honor.

24 JUDGE SMOLEN: OCA.

25 MS. McCLOSKEY: Thank you, Your Honor.

CROSS-EXAMINATION

1
2 BY MS. McCLOSKEY:

3 Q. Good morning, Dr. Bockman. My name is Tanya
4 McCloskey and I represent the Office of Consumer
5 Advocate.

6 If you could turn to page two of your testimony,
7 where you reference a study by Parkinson and Sulik, who
8 attempted to replicate some earlier research on ion
9 cyclotron resonance effects on diatoms, was the work that
10 Parkinson and Sulik attempting to replicate the work of
11 Smith, et al., that was conducted at Montana State
12 University?

13 A. I have to say I don't remember that specific
14 detail. It was work in which Dr. Liboff was an author.
15 Maybe if you give the full thing or even the reference,
16 we could look at it.

17 Q. Sure. I have the Parkinson and Sulik paper
18 with me and it is basically about the middle of the first
19 introductory paragraph.

20 (Document handed to witness.)

21 A. Yes.

22 Q. Now, are you familiar --

23 A. Reference two is the paper we are referring to,
24 in Bioelectromagnetics with Liboff as one of the authors.

25 Q. And Smith also was one of the authors?

1 A. Smith was the lead author, yes.

2 Q. Now, are you familiar with any other recent
3 work involving magnetic field exposure and diatom
4 mobility such as the paper published by Reese, et al.
5 entitled Evaluation of Diatom Mobility After Exposure to
6 16 Hertz Electromagnetic Fields?

7 A. I don't recall that paper. No, I'm not
8 familiar with that paper.

9 Q. If you would look at the second column on page
10 319 of the Parkinson and Sulik study I have handed you,
11 in about the middle of the page do you see there the
12 reference to the diatom work of Reese as discussed by
13 Parkinson and Sulik?

14 (Witness perusing document.)

15 A. Yes.

16 Q. And do you see there a...

17 (Witness perusing document.)

18 Q. Okay. The sentence that begins, "However, a
19 positive result at 16 hertz has recently been reported by
20 the group at Batelle Pacific Northwest Laboratories"?

21 A. Correct.

22 Q. That is referring, then, to the work by Reese
23 that we just discussed, correct?

24 A. It seems to be, yes.

25 Q. And would you agree with me, then, that the

1 results of recent studies on the effects of magnetic
2 fields on diatom mobility have given mixed results?

3 A. I would say that there are different reports of
4 results. I'm not familiar with the -- I don't recall the
5 Reese paper. Perhaps we should look at it as to what the
6 end points were that were being studied. Perhaps it is
7 relevant; perhaps it's not.

8 Q. I will show you a copy of the Reese paper
9 entitled Evaluation of Changes in Diatom Mobility After
10 Exposure to 16 Hertz Electromagnetic Fields, and that was
11 published in Bioelectromagnetics, 12:21-25, dated 1991.
12 I will show a copy to your Counsel.

13 (Document handed to Mr. Smith.)

14 MR. SMITH: Thank you.

15 (Witness perusing document.)

16 BY MS. McCLOSKEY:

17 Q. You had asked to review that, and I think the
18 question that I asked you was would you agree with me
19 that the results of recent studies on the effects of
20 magnetic fields on diatom mobility have given mixed
21 results.

22 A. I think your statement is correct. I think it
23 is worth qualifying what mixed results are.

24 They admit that -- in this Reese paper, that while
25 the effect at 16 hertz -- which, again, is not related to

1 60 hertz, that is clearly a different frequency -- was
2 significant, the percentage of cells that actually moved
3 was not significant. So in a sense that incorporates
4 what Parkinson and Sulik had reported. So both of these
5 studies that you have given me disagree with the study of
6 -- the original study of Smith.

7 So your statement is correct. There are
8 inconsistencies. I think in all fairness one has to ask
9 what the biological relevance of this is, the movement of
10 calcium containing small organisms in the presence of a
11 non-power frequency field. And I don't think it really
12 has very much biological relevance. And I certainly
13 don't think that the weight of data that is available in
14 the literature would argue that the cyclotron resonance
15 theory cannot be upheld by the experiments that are
16 currently present.

17 Even if you interpreted the Reese paper as
18 suggesting that the field has some influence, it
19 certainly didn't influence the bulk of the particles but
20 only that there was some obvious difference at 16 hertz.
21 Okay. But that could arise just by chance, you
22 understand. That when you make a random number of
23 measurements, by chance you are likely to find something
24 that is going to change.

25 The bottom line is that even if you -- if this

1 change was confirmable by others, which it has not been,
2 that it does not then prove that Liboff's theory of
3 cyclotron resonance is correct.

4 So, I'm sorry. I just wanted to put it in that
5 context. I agree with your statement, but in that
6 context.

7 Q. And, Dr. Bockman, since we are in a new phase
8 of the proceeding and it just occurred to me I think we may
9 have discussed this the last time you were on the stand,
10 but could you briefly just explain diatom mobility so
11 that this record is complete and people can understand
12 it, in as layman's terms as possible?

13 A. Okay. I think to do that we have to go back a
14 little bit. Because one of the arguments is that
15 electric and magnetic fields may transduce or couple to
16 biological systems through their ability to interact with
17 calcium and calcium movement. That would be very
18 important and a very important finding if it were true
19 because calcium is a very critical cation in controlling
20 a number of different cell functions. So this has become
21 a focus point for much of the literature.

22 A hypothesis has been put forth by Dr. Liboff that
23 indeed electric and magnetic fields can influence calcium
24 through a process, a physical process, known as cyclotron
25 resonance. Many, many physical scientists disagree with

1 the hypothesis on very sound theoretical grounds, which
2 we can discuss.

3 But this diatom system, which probably couldn't be
4 further away from human systems, are small organisms that
5 contain a large amount of calcium and they kind of live
6 as free little organisms in the environment. And the
7 concept is that changes in calcium concentration within
8 these organisms would alter the way they move in a rather
9 dense system. The system that is used is an agar system,
10 which is like a jello if you want to think of it that
11 way, and you put these particles into this thick jello.
12 If you did something to them so that they moved in a
13 coordinated fashion, that would be a way of sort of
14 measuring or assessing that you had some uniform effect,
15 possibly on calcium.

16 That's another thing, is that these studies aren't
17 directly measuring changes in calcium. And I have cited
18 studies that do measure changes -- that there are not
19 changes in calcium.

20 So it is an indirect measurement in an intact
21 organism in jello showing its movement under the
22 influence of what are non-power frequency fields. That
23 was a long sentence, but you get the gist of the sentence
24 is that we are talking about not human systems and we are
25 talking systems that are -- that may or may not be

1 involved with the issue at hand, which is calcium and
2 calcium movement. And we are looking at a strange
3 measure, which is a movement through jello-like
4 substance. If you can somehow extrapolate that piece of
5 information back to safety or non-safety of
6 electric-magnetic fields, that takes a long jump. But it
7 is doable, I suppose.

8 Q. And just to come full circle, then, you know,
9 apart from the mechanisms which we have been discussing,
10 then, the Reese paper did report some movement and the
11 Smith paper reported some movement, yet the Parkinson and
12 Sulik paper reported no movement or does not report
13 movement?

14 (Witness perusing document.)

15 A. That was sort of a complicated question. That
16 is one of those things you would have to diagram out.

17 What the Reese paper shows is that they claim there
18 is some effect at 16 hertz but that the cell movement was
19 not sufficiently reproduceable, okay, to allow
20 examination of frequency dependence. That would seem to
21 negate whatever result they found.

22 In other words, they say they have an effect at 16
23 hertz but then they say that the movement that occurred
24 in this jello was sufficiently random that they could not
25 say that there really was a significant movement. That

1 seems to negate their whole study. So I would say this
2 study sort of self-destructs and I am not sure it is
3 worth then comparing to the other studies.

4 You know, I think we lose the issue here. The
5 issue is what is the evidence that calcium is being
6 perturbed or altered. And you are right, the last time
7 we discussed this we talked about the eflux experiments,
8 which we agreed were studies of dead and dying tissues
9 and didn't have biological relevance. And since that
10 time a hypothesis has been put forth and a number of
11 studies have been done to see whether or not electric and
12 magnetic fields actually alter calcium movement within
13 cells. In the studies that are in a sense the most
14 incisive, the ones that look directly at calcium
15 movement, such as studies that use a technique called
16 patch-clamps, which was published by Hojevik and his
17 colleagues, as well as studies that looked at changes in
18 the concentration of calcium within the cytoplasm or the
19 inside of the cell, and I have quoted those studies,
20 those studies do not show changes in the calcium.

21 So I think these studies are far too indirect and
22 provide very weak kind of an associative evidence but
23 don't measure what we are really interested in, which is
24 calcium. And when we do measure calcium, we don't see
25 the change.

1 JUDGE SMOLEN: Counsel.

2 MR. SMITH: Your Honor, we have previously
3 distributed to Counsel, yourself, and the court reporter
4 two documents related to Mr. Boeggeman's testimony. The
5 first is PECO Direct on Remand No. 2, direct testimony on
6 remand of Charles J. Boeggeman on behalf of Philadelphia
7 Electric Company. I ask that that be marked for
8 identification.

9 JUDGE SMOLEN: So marked:

10 (Whereupon, the document was marked
11 as PECO Direct on Remand No. 2
for identification.)

12 MR. SMITH: The second document is PECO Rebuttal on
13 Remand No. 2, rebuttal testimony on remand of
14 Charles J. Boeggeman on behalf of Philadelphia Electric
15 Company. I ask that that document also be marked for
16 identification.

17 JUDGE SMOLEN: So marked.

18 (Whereupon, the document was marked
19 as PECO Rebuttal on Remand No. 2
for identification.)

20 DIRECT EXAMINATION

21 BY MR. SMITH:

22 Q. Mr. Boeggeman, by whom are you employed and in
23 what capacity?

24 A. Philadelphia Electric Company. I am an
25 electrical engineer working for Transmission and

1 Distribution Services Department.

2 Q. Now, do you have before you a copy of a
3 document that was just marked for identification as PECO
4 Direct on Remand No. 2?

5 A. Yes, I do.

6 Q. And do you have in front of you a copy of a
7 document that was just marked for identification as PECO
8 Rebuttal on Remand No. 2?

9 A. Yes, I do.

10 Q. Were these documents prepared by you or under
11 your direct supervision?

12 A. Yes, they were.

13 Q. If I were to ask you today the questions set
14 forth in these documents would your answers be the same
15 as those contained therein?

16 A. They would be the same.

17 Q. And would your answers be true and correct to
18 the best of your knowledge, information and belief?

19 A. Yes, they would.

20 MR. SMITH: Your Honor, I ask that PECO Direct on
21 Remand No. 2 and PECO Rebuttal on Remand No. 2 be
22 admitted into the record subject to timely objections.

23 JUDGE SMOLEN: They are received subject to those
24 qualifications.

25

1 (Whereupon, the documents marked as
2 PECO Direct on Remand No. 2 and
3 Rebuttal on Remand No. 2 were
4 received in evidence.)

5 MR. SMITH: The witness is available for
6 cross-examination.

7 JUDGE SMOLEN: Ms. Burket.

8 MS. BURKET: No questions, Your Honor.

9 JUDGE SMOLEN: Mr. Dillon.

10 MR. DILLON: No questions, Your Honor.

11 JUDGE SMOLEN: Ms. McCloskey.

12 MS. MCCLOSKEY: Ms. Dusman will be conducting the
13 cross.

14 JUDGE SMOLEN: Ms. Dusman.

15 MS. DUSMAN: Thank you, Your Honor.

16 CROSS-EXAMINATION

17 BY MS. DUSMAN:

18 Q. Good morning, Mr. Boeggeman. I am Dianne
19 Dusman of the Office of Consumer Advocate.

20 Would you please refer to your statement at
21 page two, where you begin your discussion of existing
22 magnetic field standards?

23 A. Okay.

24 Q. At lines 16 to 17 of that page you refer to the
25 New York interim standard of 200 milligauss at edge of
right-of-way, is that correct?

1 A. That's correct.

2 Q. Mr. Boeggeman, how familiar are you with New
3 York's interim standard as it is described in the State
4 of New York's Public Service Commission Statement of
5 Interim Policy on Magnetic Fields of Major Electric
6 Transmission Facilities?

7 A. Somewhat familiar. I have reviewed it in the
8 past, although not recently.

9 Q. Not in preparation for testimony here today?

10 A. No.

11 Q. Are you aware that that statement was issued in
12 September of 1990?

13 A. Yes.

14 Q. Do you recall how the 200 milligauss edge of
15 right-of-way level was calculated?

16 A. Yes. It was calculated on maximum conductor
17 rating, winter normal conductor rating. They surveyed
18 the existing 345 kV transmission lines in New York and
19 set the standard based on the edge of right-of-way fields
20 for those ratings.

21 Q. So the winter normal conductor standard is the
22 reference point for that 200 milligauss level?

23 A. That is my recollection.

24 Q. Do you know what percentage of the time their
25 study showed the transmission circuits operate at their

1 winter normal conductor rating?

2 A. I do not recall.

3 Q. Can you accept subject to check that it was
4 less than 0.1 percent of the time?

5 A. I would certainly accept that.

6 Q. Do you recall that the New York study on which
7 that interim policy statement was based showed that for
8 99 percent of the time the magnetic field at the edge of
9 right-of-way for 345 kV transmission circuits was less
10 than 55 milligauss?

11 A. I could accept that also.

12 Q. Mr. Boeggeman, referring to your initial
13 testimony in this case and PECO Exhibit No. 2 which was
14 already offered -- do you happen to have that with you?

15 A. I believe I do.

16 Q. Would you please look at Exhibit No. 2, pages
17 six to nine, and the calculations that you provide on
18 Table 2 showing different loading conditions with respect
19 to this line?

20 A. I'm there.

21 Q. Can you tell us, Mr. Boeggeman, whether any of
22 the calculations you provide here are equal to the winter
23 normal conductor rating which we stated was the basis for
24 the interim New York standard?

25 A. These are not based on winter normal conductor

1 ratings. The reason for that is the transmission line,
2 the limit of the rating is at the connection points, the
3 substations, not the actual conductor itself. We don't
4 necessarily put up a size conductor that we intend to use
5 that rating. We purchase conductor based on a cost
6 analyses of various conductors, the strength of
7 conductor, that type of thing.

8 Q. Okay. So if none of your calculations can be
9 said to be equal to the rating used to devise the New
10 York standard, to support the New York standard, interim
11 standard, are any of your calculations close to
12 approximating that standard?

13 A. No. Specifically the maximum conductor rating,
14 the rating of that conductor is 1,780 amperes. If you
15 did the math, rounded out to 1,800 amperes, you could
16 multiply 1.8 times the thousand ampere figures and come
17 up with the figures at 1,800 amperes.

18 Q. Would it be possible for you to make that
19 calculation for the edge of right-of-way for this line
20 based on your table here?

21 A. Well, better yet, I will take the 600 ampere
22 rating and multiply by three.

23 Q. Okay.

24 (Witness performing calculations.)

25 A. Roughly 127 milligauss.

1 Q. And would you state how you made that
2 calculation so that the record is complete?

3 A. I multiplied the 600 ampere calculations, the
4 magnetic field from the 600 ampere calculations, by
5 three. Three times 600 is 1,800. It is a direct
6 multiplication.

7 And I multiplied that by the number at plus-30
8 feet, 42.21. I'm sorry. I was looking at the plus-30
9 feet rather than the minus.

10 (Witness performing calculations.)

11 A. Roughly 181 milligauss.

12 Q. I'm sorry. Would you repeat that?

13 A. 181 milligauss, in round figures.

14 Q. If we were to use the figures in column five,
15 which relates to loading of a thousand amps, we would
16 multiply those figures by 1.8?

17 A. 1.8, correct.

18 Q. I believe earlier when you described how the
19 New York interim standard as arrived at you stated that
20 it was based upon 345 kV lines?

21 A. Correct.

22 Q. And the New York standard does not generally
23 apply to 230 kV lines, does it?

24 A. I believe it does. My recollection is that it
25 does.

1 Q. And does it, to the best of your recollection,
2 does it have the same -- apply the same level to the 230
3 kV line as a 345 kV line?

4 A. I believe it does. I may be wrong, but...

5 MS. DUSMAN: If I may, Your Honor --

6 A. It has been a while since I reviewed that.

7 MS. DUSMAN: -- I have a copy of the New York

8 interim standard. Perhaps the witness could review that.

9 JUDGE SMOLEN: Why don't you show it to Counsel
10 first.

11 (Document handed to Mr. Smith.)

12 MS. DUSMAN: Your Honor, I am just presenting the
13 witness with the New York standard and specifically the
14 section that contains its conclusions.

15 JUDGE SMOLEN: Go ahead.

16 THE WITNESS: Before I read this, I realized I made
17 a mathematical error in my calculation. I multiplied the
18 thousand amperes figure by three, okay? It would be 1.8
19 times 60.47 milligauss, okay, or three times 36.21.

20 BY MS. DUSMAN:

21 Q. And what does that yield?

22 (Witness performing calculations.)

23 A. 109 milligauss for round figures.

24 Which part -- did you want me to read the whole
25 page?

1 Q. The conclusions.

2 (Witness perusing document.)

3 JUDGE SMOLEN: Before you read it, since there are
4 a lot of interruptions on the record why don't you
5 restate the question so that it is clear, the question
6 and the answer.

7 BY MS. DUSMAN: Well, I previously asked the
8 question to the best of your recollection does the New
9 York standard specifically apply to 130 kV lines, and the
10 witness responded that he believed that it did.

11 So I have presented him with conclusions of the New
12 York policy statement so that he can refresh his
13 recollection and at the moment there is no question on
14 the table.

15 JUDGE SMOLEN: All right.

16 (Witness perusing document.)

17 A. I still believe it does apply to 230 kV lines.

18 BY MS. DUSMAN:

19 Q. So you believe this applies, the 200 milligauss
20 level, applies equally to a 345 kV line and a 230 kV
21 line?

22 A. That is my interpretation.

23 MR. SMITH: Your Honor, if they are done with that,
24 could we ask to look at it during cross-examination?

25 JUDGE SMOLEN: You can ask.

1 MS. DUSMAN: Just one moment.

2 JUDGE SMOLEN: And you have asked.

3 MS. DUSMAN: Your Honor, I don't have any further
4 questions for this witness.

5 JUDGE SMOLEN: Maybe there will be some redirect
6 possibly. Do you want to take a look at that?

7 MR. SMITH: Yes.

8 JUDGE SMOLEN: I want to give Mr. Sugarman, who has
9 entered an appearance during the cross-examination of
10 this witness here, do you want to cross-examine this
11 witness, sir?

12 MR. SUGARMAN: Just a little bit, Your Honor.
13 Thank you.

14 CROSS-EXAMINATION

15 BY MR. SUGARMAN: . . .

16 Q. Pursuing Ms. Dusman's last question,
17 Mr. Boeggeman, could you identify the language in that
18 statement that to your interpretation makes it applicable
19 to 230 kV lines? Do you still have a copy of that?

20 A. I don't have it.

21 JUDGE SMOLEN: Somebody has it.

22 MR. WATSON: We have it.

23 MR. SUGARMAN: Okay. Here is another copy.

24 (Witness perusing document.)

25 A. Article 4, Circuits, takes into consideration a

1 230 kV line. It becomes apparent that the 230 kV line is
2 part of this when it states if there is no edge of
3 right-of-way it states take, "Article 4 transmission
4 circuit operating at 230 kV" -- or "Sixty foot from
5 centerline of structures supporting an Article 4
6 transmission circuit operating at 230 kV if there is no
7 edge of right-of-way defined."

8 BY MR. SUGARMAN:

9 Q. What does the term no edge of right-of-way mean
10 in your interpretation?

11 A. In the State of New York I am really not sure
12 what it means. I believe it means if there is no defined
13 -- actually, I have to say I don't know exactly what that
14 means in the State of New York.

15 Q. Is there an edge of right-of-way in the
16 Woodbourne-Heaton line?

17 A. There is an easement that was purchased from
18 Conrail that designates an edge of right-of-way that is
19 within the Conrail property.

20 Q. And you are applying the standard that is not
21 applicable to -- I'm sorry. Let me rephrase it. You are
22 using or relating to a standard that is only applicable
23 where there is no edge of right-of-way defined, is that
24 correct?

25 A. No.

1 MR. SMITH: Objection, Your Honor. That is
2 argumentative.

3 JUDGE SMOLEN: Overruled. He has already answered.
4 Go ahead.

5 BY MR. SUGARMAN:

6 Q. Go ahead.

7 A. No, I don't agree with that. I was just
8 pointing out that a 230 kV line was designated in the
9 language there.

10 Q. Right.

11 A. That is how I conclude that 230 kV lines are
12 included in the New York standard for edge of
13 right-of-way magnetic field standards.

14 Q. I see.

15 Now, in your testimony is it your testimony that
16 the Granger Morgan prudent avoidance concept applies here
17 as if this were an existing line?

18 A. Yes.

19 Q. And why do you apply the standard that this is
20 an existing line?

21 A. Because it is an existing line on an existing
22 right-of-way.

23 Q. In reaching that opinion have you considered
24 the import of the Commonwealth Court's action in
25 remanding the matter to the Public Utility Commission?

1 A. I don't understand your question. Could you
2 explain further?

3 Q.. Well, if it was an existing line in an existing
4 right-of-way why do you understand that the Commonwealth
5 Court found the Commission's procedures to have been
6 inadequate?

7 MR. SMITH: Objection, Your Honor. That is
8 unargumentative and beyond the scope.

9 JUDGE SMOLEN: Sustained.

10 MR. SUGARMAN: I will come back to my other
11 question. That question was really more to answer your
12 question what did I mean by that.

13 BY MR. SUGARMAN:

14 Q. What I am asking is when you say that you
15 applied the concept of prudent avoidance as if this were
16 an existing line in an existing right-of-way, my question
17 is did you consider the import of the Commonwealth
18 Court's decision in your decision to apply the standards
19 of an existing line in an existing right-of-way?

20 MR. SMITH: Objection, Your Honor. That calls for
21 legal analysis by the witness.

22 MR. SUGARMAN: It is just a question, did he
23 consider it.

24 JUDGE SMOLEN: Overruled.

25 You may answer. Did you consider it?

1 A. I don't understand the question. Consider the
2 import of --

3 BY MR. SUGARMAN:

4 Q. The Commonwealth Court decision.

5 A. Could you direct some language to me that tells
6 me what the decision was, please?

7 Q. The conclusion of the decision that the matter
8 be remanded because the Protestants had not had an
9 opportunity for hearing..

10 MR. SMITH: Objection, Your Honor. Argumentative.

11 MR. SUGARMAN: That's not argumentative. That is a
12 description of what the Court did.

13 JUDGE SMOLEN: I am not sure that that is related
14 to your original question. Why don't you start from the
15 beginning again. I will sustain right now. Start all
16 over again.

17 BY MR. SUGARMAN:

18 Q. Did you consider the implication of the
19 Commonwealth Court's action in remanding the matter? Yes
20 or no?

21 A. I still don't understand the question. The
22 line is an existing line. It is tangibly there and it is
23 on an existing right-of-way.

24 Q. Did you consider the Commonwealth Court's
25 decision?

1 MR. SMITH: Asked and answered, Your Honor.

2 MR. SUGARMAN: Never answered. It was asked
3 several times in different ways, but now I'm asking just
4 the basic, bare question:

5 BY MR. SUGARMAN:

6 Q. Did you consider the Commonwealth Court's
7 decision?

8 A. I read the decision.

9 Q. What did you understand it to mean with respect
10 to whether this is an existing line in an existing
11 right-of-way?

12 MR. SMITH: Objection, Your Honor. That calls for
13 a legal analysis by the witness.

14 JUDGE SMOLEN: Well, it does call for a legal
15 analysis.

16 THE WITNESS: Did you say Commonwealth Court or the
17 Commission?

18 MR. SUGARMAN: The Commonwealth Court.

19 THE WITNESS: Oh, I'm sorry. Yes, I read it a long
20 time ago. I thought you meant this remand.

21 BY MR. SUGARMAN:

22 Q. No. I meant the Commonwealth Courts' remand
23 from May, 1992.

24 A. I have no opinion on the remand.

25 Q. So the Commonwealth Court's decision, if the

1 legal implication -- this is a hypothetical question, I
2 am not asking you to say whether it is or isn't -- if the
3 Commonwealth Court's decision carries the necessary
4 implication that this line should not be considered an
5 existing line in an existing right-of-way, then would you
6 agree that you would have to apply a different test under
7 the concept of prudent avoidance?

8 MR. SMITH: Objection, Your Honor. There is no
9 basis in evidence for the conjecture in his question.

10 MR. SUGARMAN: The foundation is that the Morgan
11 report states that prudent avoidance also calls for not
12 locating new lines near highly built-up, highly populated
13 areas.

14 MR. SMITH: The objection is that there is no basis
15 for his conjecture about the decision.

16 JUDGE SMOLEN: I am going to sustain the objection.
17 But I want to move it along without unnecessary delay.
18 Are you really asking that if it is not an existing line
19 would a different standard be applicable?

20 MR. SUGARMAN: That's right.

21 JUDGE SMOLEN: Why don't you ask it that way
22 without reference to the Commonwealth Court.

23 BY MR. SUGARMAN:

24 Q. If the line were not considered to be an
25 existing line in an existing right-of-way would a

1 different standard be applicable under the concept of
2 prudent avoidance that you applied?

3 A. No. The reason for that is many. This line
4 was proposed before it was built to go down a common
5 corridor of occupation, which is something that has been
6 encouraged in the past. Condemnation has been
7 discouraged in the past, introduction of new

8 ~~rights-of-way.~~ We were able to build a compact delta
9 system on that right-of-way and mitigate or to reduce
10 magnetic field levels. I still would have come to the
11 same conclusion in my part of the decision that it is
12 prudent application of that transmission corridor.

13 Q. In your supplemental testimony -- I believe it
14 was your supplemental testimony received in the last two
15 days --

16 JUDGE SMOLEN: Let's get it clear for the record.
17 You mean his rebuttal testimony or the direct on remand?

18 MR. SUGARMAN: The rebuttal testimony, I guess it
19 is called. It was the one paragraph relating to
20 underground.

21 BY MR. SUGARMAN:

22 Q. Was it your testimony as to the cost of going
23 underground?

24 A. I refer to another's testimony. The cost is in
25 my testimony. I have not prepared the estimate of that

1 cost. I do refer to it.

2 Q. Is that the construction -- the \$38 million,
3 right?

4 A. That is the additional cost, I understand, to
5 construct the line underground.

6 Q. Did you consider -- first of all, did you
7 understand that the 38 million was additional to what?

8 When you say it is additional cost, what do you mean?
9 Additional on top of what?

10 A. It is conjecture on my part. It is 38 million
11 on top of what was spent thus far, but I am not sure.

12 Q. All right. So assuming that the 38 million is
13 the total cost of underground construction apart from the
14 costs that have already been spent, have you calculated
15 the savings, or have you determined whether there would
16 be any savings over the life of the use of the line that
17 might reduce that \$38 million investment or might
18 compensation in part for it?

19 MR. SMITH: Objection, Your Honor. This is outside
20 the scope of Mr. Boeggeman's testimony. He accepted the
21 figure that Mr. Oedemann calculated.

22 JUDGE SMOLEN: So the dollar figures, the cost
23 estimates, were through another witness?

24 MR. SMITH: Yes, sir.

25 BY MR. SUGARMAN:

1 Q. I am just asking did you, Mr. Boeggeman,
2 calculate or estimate or project any difference in
3 lifetime costs as distinguished from initial investment.

4 MR. SMITH: And I understood that that was
5 Mr. Sugarman's question and I objected to it because it
6 is still outside the scope of Mr. Boeggeman's testimony.

7 MR. SUGARMAN: Well, his testimony is, and I quote
8 from lines 32 and 33, "Again, that is not a small or
9 modest investment." And I am testing that opinion by
10 attempting to elicit what offsetting lifetime savings
11 there might be --

12 JUDGE SMOLEN: It's not through this witness.

13 MR. SUGARMAN: -- in giving this opinion that this
14 is not a small or modest investment.

15 JUDGE SMOLEN: This witness has accepted, as I
16 understand it, the testimony --

17 MR. SUGARMAN: As initial cost.

18 JUDGE SMOLEN: As initial cost.

19 MR. SUGARMAN: Right. But then he goes on and
20 gives an opinion of his own that says that is not a small
21 or modest investment. I'm asking if in reaching that
22 opinion of his he considered the operating savings or the
23 long-time savings in reaching that opinion. So I am
24 questioning that opinion.

25 JUDGE SMOLEN: I will permit that question. I

1 overrule the objection.

2 A. I don't understand what you mean by long-term
3 operating savings.

4 BY MR. SUGARMAN:

5 Q. Well, the savings that would be associated from
6 not having an overhead line and not having to perform
7 repairs and maintenance and the upkeep costs associated
8 with exposure to weather, and what have you in an overhead
9 line, as well as the reduced liability to personal injury
10 and property damage claims that would occur from having
11 an underground line and the lower milligauss.

12 MR. SMITH: Objection. It assumes fact not in
13 evidence.

14 MR. SUGARMAN: I am not assuming. He didn't
15 understand what I'm talking about. I'm only asking if he
16 considered such things.

17 MR. SMITH: Objection, Your Honor.

18 MR. SUGARMAN: How could I put facts in evidence at
19 this time?

20 JUDGE SMOLEN: The question when read by a reader
21 of this record seems to place facts in the record which
22 are not there. You are trying to ascertain from this
23 witness what if anything he considered.

24 MR. SUGARMAN: That's right.

25 JUDGE SMOLEN: Now, I understand this is

1 cross-examination and you are permitted to use leading
2 questions rather than a question as I have just phrased
3 it. So I am going to sustain this objection and ask you
4 to rephrase that question again to see if you can elicit
5 the information you're attempting to elicit.

6 MR. SUGARMAN: Mr. Boeggeman, did you attempt to
7 estimate the cost differential of an underground line
8 versus an overhead line over its lifetime with respect to
9 maintenance and accidents?

10 MR. SMITH: Objection. Outside the scope of this
11 witness' testimony.

12 MR. SUGARMAN: Then I move to strike his opinion
13 that this is not a small or modest investment.

14 JUDGE SMOLEN: I overrule the objection. You can
15 answer.

16 A. I have not done that estimate.

17 BY MR. SUGARMAN:

18 Q. Did you attempt to estimate the cost savings
19 that might, or any cost savings that might occur from a
20 reduction in exposure to liability suits as a result of
21 having lower milligauss from having the line --

22 MR. SMITH: Objection.

23 JUDGE SMOLEN: Sustained.

24 BY MR. SUGARMAN:

25 Q. Did you make any estimate of that kind?

1 JUDGE SMOLEN: I sustained the objection.

2 BY MR. SUGARMAN:

3 Q. Did you make any estimate of the difference in
4 projected costs associated with liability from overhead
5 lines versus underground lines?

6 MR. SMITH: Objection, Your Honor.

7 JUDGE SMOLEN: Well, I am going to allow that
8 question. He does say it is not -- what was the
9 terminology again?

10 MR. SUGARMAN: I asked if he considered --

11 JUDGE SMOLEN: No, I mean of the opinion which you
12 are seeking to test.

13 MR. SUGARMAN: Oh, the opinion. Again, that is not
14 a small or modest investment. In other words, an
15 additional 38.5 million.

16 JUDGE SMOLEN: Now you can ask the question.

17 MR. SUGARMAN: I beg your pardon?

18 JUDGE SMOLEN: You can ask a question.

19 MR. SUGARMAN: Thank you.

20 BY MR. SUGARMAN:

21 Q. The question is did you consider whether there
22 would be cost savings or any estimate -- did you estimate
23 any cost savings that might occur from reduced liability
24 for personal -- reduced exposure to personal liability
25 judgments as a result of an underground line and lower

1 milligauss?

2 MR. SMITH: Objection, Your Honor. It assumes that
3 there would be liability under either case.

4 JUDGE SMOLEN: Sustained.

5 MR. SUGARMAN: It doesn't not assume it. I'm
6 asking --

7 JUDGE SMOLEN: Well, I sustained it.

8 MR. SUGARMAN: I will rephrase it.

9 BY MR. SUGARMAN:

10 Q. Did you consider whether there might be any
11 savings in liability to personal injury claims as a
12 result of having underground with lower milligauss?

13 MR. SMITH: Objection, Your Honor.

14 JUDGE SMOLEN: It assumes there are going to
15 liability claims and possible savings if it is
16 underground. It does make that assumption, that there
17 will be claims or there may be liability claims.

18 MR. SUGARMAN: I'm trying to ask the question did
19 he consider whether there would be. So let me try to
20 phrase it again.

21 BY MR. SUGARMAN:

22 Q. Did you consider whether there might be more
23 exposure to personal injury liability with an overhead
24 line as a result of higher milligauss?

25 MR. SMITH: Objection, Your Honor. This is asked

1 and answered. The witness testified he didn't do
2 calculations. Subparts of the calculations have already
3 been --

4 MR. SUGARMAN: Well, do you want to stipulate that
5 that was not considered?

6 JUDGE SMOLEN: No. What was your last statement?
7 That could be stipulated to because you stated what you
8 believe the witness said. Why don't you repeat that.

9 MR. SMITH: I think we should stipulate to his
10 answer that he did not do calculations, that he accepted
11 Mr. Oedemann's calculations.

12 JUDGE SMOLEN: That he did no calculations
13 whatsoever but accepted the calculation of another PECO
14 witness?

15 MR. SMITH: Yes, sir.

16 BY MR. SUGARMAN:

17 Q. Well, then, did you consider without doing
18 calculations, did you consider in reaching your opinion
19 that it's not a modest or small investment, did you
20 consider whether there might be offsetting savings in
21 exposure to liability suits?

22 A. It is a legal question that I can't answer.

23 Q. In reaching your conclusion based on
24 Mr. Frieman's testimony that the cost of purchasing the
25 Protestants' properties would, I think there is a word

1 missing here on page four, line 20, I assume the word
2 would be "be", would be over 160 million.

3 A. Yes.

4 Q. Did you consider the offsetting -- did you
5 consider whether there would be any offset from being
6 able to use the purchased properties in some other
7 fashion? In other words, that they might be developed in
8 some other way.

9 MR. SMITH: Objection, Your Honor. It assumes
10 facts not in evidence.

11 MR. SUGARMAN: Again, I am asking the question did
12 he consider whether there would be.

13 JUDGE SMOLEN: Did you develop the figure?

14 THE WITNESS: No.

15 MR. SUGARMAN: That is not my question, Your Honor.
16 Again, it is a net versus a gross. I am not questioing
17 him on the \$160 million cost. I am accepting that Mr.
18 Frieman came up with that cost and Mr. Boeggeman simply
19 -- but his opinion that is given, is, quote, that is not
20 a small or modest investment and I thus conclude that the
21 proposal is not consistent with the concept of prudent
22 avoidance."

23 My question is did he consider whether the
24 purchased property could be reused and therefore whether
25 the 160 million was in fact or would be in fact the cost,

1 the total net cost.

2 MR. SMITH: We object to that question, Your Honor.
3 If he is challenging the 160 million as a net or gross
4 then he's on the wrong witness. And if he is not
5 challenging that, then he is assuming facts that are not
6 in evidence, that this land can be redeveloped.

7 MR. SUGARMAN: I am not assuming any such facts.

8 Q. I'm asking him if he considered --

9 JUDGE SMOLEN: I will permit the question and you
10 can answer it.

11 A. It is an after the fact thing. I never
12 considered it, no.

13 BY MR. SUGARMAN:

14 Q. I'm sorry?

15 A. That consideration is after the fact. The line
16 is there. So there would be no reason for me to consider
17 that.

18 Q. Let me clarify. I don't think you understood
19 my question. It probably wasn't clear.

20 In your testimony you state that the cost of
21 Protestants' proposal to purchase properties would be
22 over \$160 million.

23 A. That is the figure that was --

24 Q. I'm accepting that that would be the
25 expenditure that would have to be made for purposes of

1 this question.

2 A. Okay.

3 Q. You then go on to give an opinion: that is not
4 a small or modest investment, and I thus conclude that
5 the proposal is not consistent with the concept of
6 prudent avoidance.

7 My question is in your hypothetical that you were
8 testifying about, the cost being 160 million, and on
9 which you gave the opinion that that is not a small or
10 modest investment, I am asking did you consider whether
11 the property could be reused and if so what value it
12 would have for reuse?

13 A. No, I did not.

14 Q. Why not?

15 A. Again, it was after the fact of the line being
16 there. The design of the line, the width of the
17 right-of-way, the achievement of reduced fields beyond
18 existing standards that are out there tells me that \$5
19 more spent would would be not prudent.

20 Q. Now, do you consider yourself an expert on what
21 the concept of prudent avoidance means, or were you
22 simply applying the standard that you took from the
23 Granger Morgan report?

24 A. I am applying the standard that was generated
25 by the Morgan report to whatever analyses were performed

1 on our systems.

2 MR. SUGARMAN: Thank you. I don't have any further
3 questions. Thank you very much.

4 MR. SMITH: May we have just a moment for redirect?

5 JUDGE SMOLEN: Certainly.

6 (Pause.)

7 MR. SMITH: Your Honor, would it be possible to
8 show this to the witness so that the witness could read
9 the New York magnetic field standard before redirect?

10 JUDGE SMOLEN: Any objection?

11 (No audible response.)

12 JUDGE SMOLEN: Then let's take a short break. How
13 much time do you need?

14 MR. SMITH: Ten, 15 minutes.

15 JUDGE SMOLEN: It's approximately 11:10. I may be
16 a little fast. Let's come back at 11:20.

17 (Recess.)

18 JUDGE SMOLEN: We are back on record.

19 Go ahead. Any redirect?

20 MR. SMITH: Yes, Your Honor.

21 JUDGE SMOLEN: Go ahead.

22 REDIRECT EXAMINATION

23 BY MR. SMITH:

24 Q. Mr. Boeggeman, during the break did you have
25 the opportunity to review the New York Interim Magnetic

1 Field Standard?

2 A. Yes, I did.

3 Q. Is it still your opinion that it applies to 230
4 kV transmission lines?

5 A. Yes. As a matter of fact on page one, if I can
6 quote from the document it says, "The interim standard by
7 analogy to the Commission's 1978 decision on electric

8 ~~fields is intended to ensure that magnetic fields at the~~
9 edge of future major electric transmission facility
10 rights-of-way will be no stronger than the fields
11 typically of the many existing 345 kV lines operating
12 throughout the state."

13 Q. Thank you.

14 And could you also turn to paragraph one of the
15 conclusions of the standard?

16 A. Yes.

17 Q. Could you read it?

18 A. It says, "Future Article 7 transmission
19 circuits shall be designed, constructed and operated such
20 that magnetic fields at the edge of their rights-of-way
21 (measured one meter above ground level) will not exceed
22 200 milligauss when the circuit phase currents are equal
23 to the winter normal conductor rating (as defined by the
24 New York power pool)."

25 Q. Could you take a look at paragraph two of the

1 conclusions and read that, please?

2 A. "Where there is no edge of right-of-way
3 defined, the field levels shall not exceed the values
4 specified in paragraph one above at a horizontal distance
5 of, (a), 75 feet from the centerline of the structure
6 supporting an Article 7 transmission circuit operating at
7 345 kV; (b), 60 feet from the centerline of the structure
8 supporting an Article 7 transmission circuit operating at
9 230 kV; and, (c), 50 feet from the centerline of the
10 structure supporting an Article 7 circuit operating at a
11 lower voltage."

12 Q. And do you read that to say that this standard
13 does or does not apply to 230 kV transmission lines?

14 A. It applies to it because it specifically refers
15 you back to paragraph one, which states that it will not
16 exceed 200 milligauss when circuit phase currents are
17 equal to the winter normal conductor rating.

18 Q. Thank you.

19 Now, do you recall a few moments ago during the
20 cross-examination by the Office of Consumer Advocate
21 being asked about the winter conductor rating of this
22 line?

23 A. Yes.

24 Q. Do you recall testifying about some physical
25 constraints on this line other than the winter conductor

1 rating?

2 A. Yes. There is physical constraints at the
3 substations, and my understanding from people involved in
4 the substations is that equipment at the substations
5 limits this loading to a thousand amperes maximum for
6 emergencies.

7 Q. So can this line operate above a thousand
8 amperes given those physical constraints?

9 A. My understanding is that, no, it cannot.

10 Q. And just so the record is clear, the
11 calculations that you conducted using the winter
12 conductor rating for this line, using those calculations
13 does this line still meet the New York standard?

14 A. Yes, it does.

15 MR. SMITH: No further questions.

16 JUDGE SMOLEN: Recross?

17 MS. DUSMAN: I have no questions, Your Honor.

18 JUDGE SMOLEN: All right.

19 Mr. Sugarman?

20 MR. SUGARMAN: No questions, Your Honor.

21 JUDGE SMOLEN: Anything further of this witness?

22 PP&L? Law Bureau?

23 MR. DILLON: No, Your Honor.

24 MS. BURKET: No, Your Honor.

25 JUDGE SMOLEN: The witness is excused. Thank you

1 very much for appearing and testifying.

2 (Witness excused.)

3 MR. BONNEY: Your Honor, the company calls as its
4 next witness Ronald J. Oedemann. He has been previously
5 sworn and has testified.

6 JUDGE SMOLEN: I am going to swear him in again.

7 Whereupon,

8 RONALD J. OEDEMANN testifies as follows: RONALD J. OEDEMANN

9 having been duly sworn, testified as follows:

10 JUDGE SMOLEN: Please have a seat. State your full
11 name and address.

12 THE WITNESS: My name is Ronald J. Oedemann, 2301
13 Market Street, Philadelphia, Pa. 19101.

14 MR. BONNEY: Your Honor, the company has previously
15 distributed to yourself, the parties and the court
16 reporter copies of a document marked in the upper
17 right-hand corner PECO Direct on Remand No. 1, the direct
18 testimony on remand of Ronald J. Oedemann, and a second
19 document, PECO Rebuttal on Remand No. 1, rebuttal
20 testimony of Ronald J. Oedemann. I ask that those two
21 documents be marked for identification.

22 JUDGE SMOLEN: They are so marked PECO Direct on
23 Remand No. 1 and PECO Rebuttal on Remand No. 1.

24 (Whereupon, the documents were marked
25 as PECO Direct on Remand No. 1 and PECO
Rebuttal on Remand No. 1 for
identification.)

1 DIRECT EXAMINATION.

2 BY MR. BONNEY:

3 Q. Mr. Oedemann, by whom are you employed and in
4 what capacity?5 A. I'm employed by the Philadelphia Electric
6 Company. I am a senior engineer in the T & D engineering
7 department.8 Q. Do you have before you copies of the documents
9 that have just been marked for identification as PECO
10 Direct on Remand No. 1 and PECO Rebuttal on Remand No. 1?

11 A. Yes, I do.

12 Q. Were these documents prepared by you or under
13 your direction and supervision?

14 A. Yes, they were.

15 Q. If I were to ask you today the questions set
16 forth in these documents, would your answers be the same
17 as those contained therein?

18 A. Yes, they would.

19 Q. Would your answers be true and correct to the
20 best of your knowledge, information and belief?

21 A. Yes, they would.

22 MR. BONNEY: Your Honor, at this time I ask that
23 these two documents, PECO Direct on Remand No. 1 and PECO
24 Rebuttal on Remand No. 1, be admitted into the record
25 subject to timely motions and cross-examination.

1 JUDGE SMOLEN: They are both received subject to
2 the qualifications which you have just articulated.

3 (Whereupon, the documents marked as
4 PECO Direct on Remand No. 1 and PECO
5 Rebuttal on Remand No. 1 were
6 received in evidence.)

6 MR. BONNEY: Mr. Oedemann is available for
7 cross-examination.

8 JUDGE SMOLEN: Law Bureau.

9 MS. BURKET: No questions, Your Honor.

10 JUDGE SMOLEN: PP&L.

11 MR. DILLON: No questions, Your Honor.

12 JUDGE SMOLEN: OCA.

13 MS. DUSMAN: Just a few questions, Your Honor.

14 JUDGE SMOLEN: All right.

15 CROSS-EXAMINATION

16 BY MS. DUSMAN:

17 Q. Good morning, Mr. Oedemann.

18 A. Good morning.

19 Q. At page three, lines six to ten, of your
20 statement on remand you describe the width of both the
21 Conrail utility corridor and the right-of-way for the
22 Woodbourne-Heaton line, is that correct?

23 A. Yes.

24 Q. And you also state on that page that at 12 of
25 the 238 poles supporting the line one side of the

1 narrower Woodbourne-Heaton right-of-way is coterminous
2 with the edge of the utility corridor. Is that accurate?

3 A. Yes.

4 Q. Now, when you are talking about those 12 poles
5 where the edge of the corridor and the edge of the
6 right-of-way are coterminous, you state that the
7 adjoining land uses consist of commercial property, an
8 electrical contractor and land with abandoned vehicles
9 and construction equipment, is that correct?

10 A. That's correct.

11 Q. To the best of your knowledge are those uses
12 both at the poles and through the distances between the
13 12 poles?

14 A. Yes.

15 Q. With respect -- one other point of
16 clarification. As to the 12 poles where the corridor and
17 the right-of-way have a coterminous edge, are those 12
18 poles all in a line or are they scattered throughout the
19 12-plus miles?

20 A. They are three distinct locations along the
21 line.

22 Q. With respect to the residential properties
23 abutting the right-of-way what is the shortest distance
24 from any residential property line to the center of the
25 Woodbourne-Heaton right-of-way?

1 MR. BONNEY: Your Honor, if I may interrupt for
2 clarification, which right-of-way are you referring to?
3 The Woodbourne-Heaton right-of-way or the utility
4 corridor right-of-way?

5 MS. DUSMAN: The question stated Woodbourne-Heaton
6 right-of-way.

7 MR. BONNEY: Okay. Thank you.

8 Q. You are talking now the distance from the
9 property line of the resident to the edge of our 60 foot
10 right-of-way, is that correct?

11 BY MS. DUSMAN:

12 Q. I will restate the question.

13 With respect to any of the residential properties
14 abutting the right-of-way, what is the shortest distance
15 from any residential property line to the center of the
16 Woodbourne-Heaton right-of-way?

17 A. The smallest distance is about 40 feet.

18 Q. Now, do you likewise know the shortest distance
19 between the center of the Woodbourne-Heaton right-of-way
20 and any dwelling on any residential property?

21 A. Of the Protestants that testified -- this was
22 all given out almost two years ago -- my recollection is
23 the nearest residence to the center of our transmission
24 line might be 125 feet.

25 Q. So your testimony now is based not upon your

1 own observation but your recollection of what the
2 transcript says from the earlier hearings?

3 A. It's a recollection of both. I mean, I have
4 been at all the locations and that number just sticks out
5 in my mind, that -- I mean, like I said, that is the
6 closest. Most of them were further away. But I would
7 say that is an accurate figure.

8 Q. Do you know how many different residential
9 tracts of land abut the right-of-way?

10 A. I don't have that answer.

11 Q. Do you know whether there is any undeveloped
12 land zoned for residential use that abuts the Conrail
13 utility corridor?

14 A. I don't know that answer.

15 MS. DUSMAN: Your Honor, I have no further
16 questions.

17 JUDGE SMOLEN: Mr. Sugarman.

18 CROSS-EXAMINATION

19 BY MR. SUGARMAN:

20 Q. Mr. Oedemann, in response to Ms. Dusman you
21 indicated that the closest residence of the Protestants
22 is, to the best of your recollection, 125 feet from the
23 line itself?

24 A. That's correct.

25 Q. Okay. And were you being specific in saying

1 Protestants as distinguished from any residents? In
2 other words, were you limiting your testimony to the
3 residences of those that you know to be Protestants?

4 A. Yes.

5 Q. So there might be other residences of people
6 who are not Protestants that might be closer?

7 A. It is possible, yes.

8 Q. And is it your testimony that you personally at
9 one time or another inspected the properties of all of
10 those that you knew to be Protestants?

11 A. I have been -- yes. I have been at locations
12 on the railroad where all the Protestants live, yes.

13 Q. Now -- and you knew which house was which? In
14 other words, you knew when you looked at a given
15 residence you knew that is Protestant Jones or Protestant
16 Smith?

17 A. Yes.

18 Q. And what did you use to have that information?
19 Did you have a property owner -- a map showing the names
20 of the property owners?

21 A. Well, the Protestants all had their addresses
22 on the list that was originally given out and I just
23 looked and saw where they lived by the mailbox.

24 Q. So you actually went down the streets to the
25 front of the house?

1 A. In many cases I did, yes.

2 Q. Well, it must have been in every case, right?

3 A. Yes.

4 Q. And then you went back around to the railroad
5 tracks to see how far it was, using the appearance of the
6 dwelling to make sure it was the same property? In other
7 words, you went down the mailbox and the houses in most
8 cases front away from the tracks. So you go down the
9 street where the mailbox is, you look at the number on
10 the mailbox, then you have to go back around and out and
11 around to the nearest access to the railroad tracks and
12 walk down the railroad tracks and look back at the back
13 of the house. How do you know if it is the same house?

14 A. Well, in most cases the house was maybe one of
15 two or three houses and you could just tell which house
16 belonged to who.

17 Q. Did you make any effort to ascertain the
18 proximity of any non-Protestant houses to the line?

19 A. No.

20 Q. Your testimony, your rebuttal testimony, is
21 that the cost of underground cable in that corridor would
22 be 38.5 million, is that correct?

23 A. Not exactly. Let me get that testimony out
24 again. I said it would cost a minimum of approximately
25 \$38.5 million.

1 Q. Okay. Now, I take it that did not include any
2 lifetime costs of maintenance or repair or any other
3 costs after it was constructed, is that correct?

4 A. Like I said, the 38.5 million was a minimum
5 figure. That figure will go up when you figure when you
6 have to consider the additional maintenance that you are
7 going to have to do on an underground transmission line.
8 It is going to make it cost more, if anything.

9 Q. Right. Did you make any effort to ascertain
10 whether there would be a more economical corridor to use
11 if you were going underground to connect Woodbourne and
12 Heaton? Or did you simply assume that you were going to
13 use the Conrail utility corridor?

14 A. I assumed the shortest distance between the two
15 substations, and like I stated almost two years ago the
16 most direct route between those two substations is the
17 Conrail corridor.

18 Q. And what did you assume with respect to the
19 engineering characteristic of the cable construction? In
20 other words, was it going to be a three phase line?

21 A. This would be a cable in a steel pipe filled
22 with oil, three phase cable in the pipe.

23 Q. And how close together would the cables be in
24 the pipe?

25 A. My guess, they would be approximately three

1 inches apart.

2 Q. Is that the configuration that is normally used
3 by PECO in connection with a 230 kV underground
4 installation?

5 A. Yes.

6 Q. And is it currently used by PECO in other
7 applications, that is, at other locations?

8 A...Yes.

9 Q. Now, did you estimate the cost -- or let me say
10 it has been constructed so are you familiar with the cost
11 of the overhead line that was constructed?

12 A. Yes, I am.

13 Q. And what was it?

14 A. The cost of that line between the two
15 substations is approximately \$15-and-a-half million.

16 Q. And does that include the cost of legal
17 proceedings that have been incurred so far?

18 A. No, it does not.

19 Q. Do you know what that cost is?

20 A. I don't know that.

21 MR. SUGARMAN: That is all I have. Thank you very
22 much.

23 MR. BONNEY: No redirect, Your Honor.

24 JUDGE SMOLEN: Anything further of this witness by
25 any Counsel?

1 (No audible response.)

2 JUDGE SMOLEN: Hearing no response, the witness is
3 excused. Thank you very much for appearing and
4 testifying.

5 (Witness excused.)

6 MR. BONNEY: Your Honor, the company calls as its
7 next witness Donald S. Frieman.

8 Whereupon,

9 DONALD S. FRIEMAN

10 having been duly sworn, testified as follows:

11 JUDGE SMOLEN: Please have a seat. State your full
12 name and address.

13 THE WITNESS: Donald S. Frieman, 2301 Market
14 Street, Philadelphia, Pennsylvania 19101.

15 MR. BONNEY: Your Honor, we have previously
16 distributed to yourself, the parties and the court
17 reporter a document entitled PECO Rebuttal on Remand No.
18 3, the rebuttal testimony of Donald S. Frieman. I ask
19 that it be marked for identification as such at this
20 time.

21 JUDGE SMOLEN: So marked.

22 (Whereupon, the document was marked
23 as PECO Rebuttal on Remand No. 3
24 for identification.)
25

DIRECT EXAMINATION

1
2 BY MR. BONNEY:

3 Q. Mr. Frieman, by whom are you employed and in
4 what capacity?

5 A. Philadelphia Electric Company as manager of the
6 Real Estate Department.

7 Q. Do you have before you a copy of what has just
8 been marked for identification, as PECO Rebuttal on Remand
9 No. 3?

10 A. Yes.

11 Q. Was this document prepared by you or under your
12 direction and supervision?

13 A. Yes, it was done under my supervision.

14 Q. Do you have any revisions or corrections to
15 make to this document?

16 A. Yes, I do.

17 On page two, on my first answer at the top, in the
18 third line down, I refer to "aerial photographs". That
19 should be "tax maps".

20 Q. Just to be clear, you would substitute for the
21 words "aerial photographs", "tax maps"?

22 A. That's correct.

23 Q. If I were to ask you today the questions set
24 forth in PECO Rebuttal on Remand No. 3 with that
25 correction would your answers be the same as contained

1 therein?

2 A. Yes, they would.

3 Q. Would they be true and correct to the best of
4 your knowledge, information and belief?

5 A. Yes, they would.

6 MR. BONNEY: Your Honor, I ask that PECO Rebuttal
7 on Remand No. 3 be admitted into the record at this time
8 subject to timely motions and cross-examination.

9 JUDGE SMOLEN: They are received with that
10 qualification.

11 (Whereupon, the document marked as
12 PECO Rebuttal on Remand No. 3
13 was received in evidence.)

14 MR. BONNEY: Thank you, Your Honor. Mr. Frieman is
15 available for cross-examination.

16 JUDGE SMOLEN: Law Bureau.

17 MS. BURKET: No questions, Your Honor.

18 JUDGE SMOLEN: PP&L.

19 MR. DILLON: No questions, Your Honor.

20 JUDGE SMOLEN: OCA.

21 MS. DUSMAN: Just a few questions, Your Honor.

22 CROSS-EXAMINATION

23 BY MS. DUSMAN:

24 Q. Good morning, Mr. Frieman.

25 A. Good morning.

Q. How many parcels of residential property would

1 be affected by electromagnetic fields from this line of
2 greater than one milligauss more than five percent of the
3 time?

4 MR. BONNEY: Your Honor, I object. I don't
5 understand the word affected and I am not sure that that
6 assumes a fact not in evidence, that the parcels will be
7 affected.

8 JUDGE SMOLEN: Well, you used the word affected.

9 MS. DUSMAN: Your Honor, I'll rephrase it.

10 BY MS. DUSMAN:

11 Q. Mr. Frieman's statement is that, at lines 26 to
12 28 of page one, that he is addressing the suggestion that
13 the company should purchase all properties, any portion
14 of which would be within levels of one milligauss more
15 than five percent of the time.

16 Now, with that reference how many properties,
17 residential properties, would be within levels of one
18 milligauss from this line more than five percent of the
19 time?

20 A. I didn't specifically focus on residential. As
21 I stated, I focused on all property.

22 Q. Okay. How many different parcels of property,
23 whether residential or not, would be within these levels?

24 A. There were approximately 314 parcels, which
25 included from residential through industrial, commercial,

1 institutional. The usual mixture you would find.

2 Q. Now, you said that you used tax maps to
3 identify all the parcels, did you not, on page two?

4 A. Yes.

5 Q. Did those tax maps reflect the manner in which
6 the properties you were checking are zoned?

7 A. No.

8 Q. Did they in any manner indicate to you whether

9 they were residential, commercial or industrial
10 properties?

11 A. No, they did not.

12 Q. Do you know, then, Mr. Frieman, of the 314
13 parcels that you used to develop your figure how many of
14 those parcels are owned by one or more of the
15 Protestants?

16 A. No, I do not.

17 Q. Therefore, I guess you cannot possibly know
18 what portion of the \$160 million would consist of the
19 fair market value of the property of the Protestants in
20 this case, can you?

21 A. No.

22 Q. Focusing on page two, lines 17 to 18, you state
23 that, quote, for the portion of the property which is
24 residential PECO would not be able exercise eminent
25 domain, end quote. Is that accurate?

1 A. That is accurate.

2 Q. By making that statement, Mr. Frieman, are you
3 referring to the fact that eminent domain cannot be
4 exercised to force sales of dwellings surrounded by a
5 reasonable curtilage?

6 A. Yes, I am.

7 Q. Isn't it true, then, that eminent domain power
8 can be exercised to take portions of parcels not falling
9 into the category of dwellings surrounded by a reasonable
10 curtilage?

11 A. The curtilage is 300 feet from the edge of
12 right-of-way to dwelling. And the only properties I
13 considered were properties within the 500 feet that I
14 described in my answer. So that I assumed they would be
15 dwellings within that purview that would not be
16 condemnable. I didn't ascertain exactly how many, but
17 there are residences that fall within that area.

18 Q. Mr. Frieman, assuming for a moment that
19 Protestants' proposal would be adopted and PECO would
20 purchase all or some portion of the residential
21 properties at issue here up to a fair market value of
22 \$160 million, have you attempted to calculate what the
23 net cost of such a venture would be?

24 A. To Philadelphia Electric Company?

25 Q. Yes.

1 A. No, I did not. This would be -- this is really
2 a minimal value and if I were to put together a proposal
3 in the normal fashion for approval it would be
4 considerably higher because there are a lot of other
5 factors that would have to be taken into consideration on
6 such a large purchase project.

7 Q. And what type of factors are you referring to?

8 A. Well, first of all, you would be buying these
9 properties over a two or or three year period. The act
10 of acquisition in itself changes your supply and demand
11 which raises the value in the community. My experience
12 over the years indicates that an awful large number of
13 the owners elect to stay in the same area and so you
14 really have a very large active real estate market
15 develop around any one of our transmission line
16 acquisitions. And this has the effect of raising
17 property value during your acquisition.

18 The costs of condemnation are extremely high. You
19 have your legal expense. And you have a different level
20 of preparation with appraisals, quality of appraisals.
21 The cost of appraisals is higher because the type of
22 appraisal required for a court action is different than
23 the type of appraisal one would normally receive for the
24 fair market value.

25 In addition, there is relocation involved with

1 condemnation, especially when you look at your commercial
2 and your central sites that, you know, just looking at it
3 would be very difficult to calculate, very expensive.
4 This area has a predominance of large industrial
5 customers. And so that in estimating just compensation,
6 fair market value is only one of the elements.

7 So there would be a lot of considerations. And
8 even by buying amicably you have to take into
9 consideration those same factors for an unwilling seller.

10 Q. When you buy amicably, then, you can buy
11 amicably without incurring the costs of condemnation?

12 A. You can eliminate the costs of the condemnation
13 and usually what you are doing is substituting for that
14 the incentive for an unwilling seller to sell. So that
15 you're really paying above market to induce an unwilling
16 seller to sell.

17 Q. Mr. Frieman, now that you have told us some
18 various factors that could drive that \$160 million figure
19 up, can you likewise tell us what factors would bring
20 that \$160 million figure down?

21 A. There are no factors that I can give you that
22 would drive that figure down. It would be substantially
23 higher.

24 Q. Well, if PECO purchased these properties, which
25 you have calculated have a fair market value of \$160

1 million, the company would then obviously own those
2 properties, wouldn't it?

3 A. Yes.

4 Q. And it would have those properties as an asset,
5 would it not?

6 A. My feeling -- yes, the real estate would be an
7 asset. The question of demolition of improvements would
8 be another expense and the reuse of the vacant land in
9 that corridor would probably be very minimal.

10 Q. I don't understand your comment about
11 demolition of the property. I don't think that was part
12 of any proposal.

13 A. Well, I am -- your question was was I
14 considering additional savings or value to the company on
15 the ownership of the property. My assumption is if we
16 are buying this for a transmission corridor and the
17 purpose is to keep it clear that there would be no
18 continued uses that we purchased, because that would be
19 the purchase of our acquisition. Normally when we buy
20 property in a corridor, that is a consideration.

21 Q. You are talking about property within a
22 corridor, however.

23 A. That is what I'm speaking of here. There might
24 be some small pieces that are on the outside where there
25 were partials that there could be some resale value on

1 the edges.

2 Q. Have you reviewed other testimonies of other
3 witnesses for PECO in this matter?

4 A. Over the past I did.

5 Q. Mr. Frieman, with reference to your prior
6 answer, that answer assumed, I believe, that PECO would
7 purchase all of these properties, these residential
8 properties, demolish any existing structures thereon and
9 utilize that entire tract of land simply for a utility
10 line corridor.

11 A. Well, you referred to residential. I was
12 referring to all of the improvements.

13 Q. No, I just said structures. I didn't say
14 residential. But am I accurately characterizing your
15 testimony?

16 A. I'm sorry. I don't want to argue with you.
17 You did say residential.

18 Q. I'm sorry. I stand corrected.

19 A. In answer to your question asking me if I
20 considered that there would be value in that property
21 once we bought it, my answer was no, I did not consider
22 that there would be value because if I were asked in real
23 estate to acquire all of these properties because they
24 could not continue their use with our corridor there then
25 my assumption is that we would tear down the

1 improvements, which would be industrial, commercial,
2 residential, institutional, whatever those improvements
3 might be. Otherwise I would question why I bought them.

4 Q. Is it accurate to state, then, that the
5 assumption that these properties would no longer be used
6 as they are currently is what drives your total figure of
7 \$160 million?

8 A. No. No. The \$160 million is my estimate of
9 the current fair market value of those properties as they
10 are being used. If the use changed to a utility corridor
11 use which would be devoid of those uses, the value would
12 drop substantially. Your loss of value would be
13 tremendous. I didn't even attempt to calculate it, but
14 it would be very low.

15 Q. Just for a moment, Mr. Frieman, going back to
16 the rebuttal testimony of Carter Van Dyke for
17 Philadelphia Electric Company, which is Rebuttal
18 Statement No. 5 --

19 MS. DUSMAN: And just to shorten, this, Your Honor,
20 if I may, I will just read a section of Mr. Van Dyke's
21 testimony.

22 MR. BONNEY: I'm sorry. If I may interrupt, what
23 page are you reading from?

24 MS. DUSMAN: Page 15.

25 MR. BONNEY: Thank you.

1 MS. DUSMAN: Lines nine to 17.

2 BY MS. DUSMAN:

3 Q. "Some prospective purchasers in the corridor
4 study area may consider the EMF issue among other issues
5 in deciding whether to purchase in the area. This does
6 not suggest, however, that the market or the market value
7 will be affected but, rather, only that the issue might
8 be considered. And, as I have indicated, my analysis of
9 this region does not reveal any impacts on land use,
10 zoning or property values that would suggest such
11 consideration of the EMF issue if it is occurring has had
12 any effect on these land use factors."

13 And Mr. Van Dyke further goes on to conclude that
14 he expects no impacts on future land uses as well if the
15 line is energized.

16 Assuming for a moment all of those statements,
17 Mr. Frieman, would that change the \$160 million in the
18 sense that PECO would be owning the properties and then
19 be able to sell them as they are currently used?

20 MR. BONNEY: Your Honor, I am going to object at
21 this point. Mr. Frieman's testimony is in response to a
22 proposal or a position statement by Mr. Sugarman. The
23 position is that PECO purchase all of the properties, any
24 portion of which would be within levels above one
25 milligauss more than five percent of the time. That is

1 what his testimony is referring to. This is outside the
2 scope of his testimony which address that proposal
3 because it is adding other elements to the proposal.

4 MS. DUSMAN: Your Honor, if I may respond.

5 JUDGE SMOLEN: You may respond.

6 MS. DUSMAN: It is this witness that is adding
7 other elements to the proposal. All the Protestants said
8 ~~is that~~ all they suggested is that the company could
9 purchase all properties any portion of which would be
10 within such levels.

11 JUDGE SMOLEN: I hear the arguments of both sides,
12 both parties here, and I am wondering whether or not your
13 line of questioning assumes that PECO could condemn for
14 the purpose of resale rather than condemn for the
15 purposes of -- for utility purposes. It seems to me that
16 if the company has the right to condemn for utility
17 purposes then they would not have the right to resell the
18 properties as they are. And that is what I seem to see
19 that you are driving at.

20 MR. BONNEY: Your Honor, if I may add this, the
21 proposal is that the line is somehow dangerous and that
22 we need to purchase the property because of that danger.
23 I think the assumption that you would resell it is
24 inconsistent with that proposal.

25 MR. SUGARMAN: Your Honor, it is my proposal that

1 is the subject of the testimony. May I be heard as to
2 the intent of the proposal?

3 JUDGE SMOLEN: Yes, but let Counsel first -- did
4 you understand what I said?

5 MS. DUSMAN: Yes, I do, Your Honor.

6 JUDGE SMOLEN: You are saying they should condemn
7 and then hold the property and couldn't they resell it.

8 Well, they can't -- could they have the right to condemn
9 and keep the properties and resell? Or is condemnation
10 for a public purpose, namely for an utility purpose. If
11 it is for an utility purpose then it is for the corridor.
12 Would they not have to then either keep the properties as
13 they are and not resell or demolish the properties and
14 keep them for a utility corridor?

15 MS. DUSMAN: My first comment, Your Honor, is that
16 condemnation is not necessarily a part of this proposal.
17 If Protestants are proposing that the company purchase, I
18 think we could reasonably assume there would be some
19 willing sellers there.

20 And secondly, I am merely testing the validity of
21 the \$160 million figure that Mr. Frieman arrived at. He
22 is saying that would be the cost to PECO of adopting this
23 proposal. And I think that number is seriously in
24 question because he has assumed that the properties would
25 then be valueless.

1 MR. BONNEY: Your Honor, his testimony is simply
2 that the approximate market value of those properties
3 would be over \$160 million. He is not assuming all these
4 other items, resale, et cetera. He has simply calculated
5 what the market value was. That is his testimony. He
6 has responded to questions that tried to characterize
7 other aspects of it.

8 JUDGE SMOLEN: Okay. Now let Mr. Sugarman speak.

9 MR. SUGARMAN: Your Honor, maybe I can avoid some
10 of the effort that is being made to formulate what is the
11 issue by clarifying what my intention was in the
12 proposal.

13 MR. BONNEY: Your Honor, I object. You ordered
14 that the Protestants and other parties indicate formally
15 their position statement. They have done that. I don't
16 think they should be permitted to elaborate and perhaps
17 change it at this point. It says what it says and we
18 have responded to that in testimony.

19 JUDGE SMOLEN: Well, I am going to allow Counsel to
20 explain what his position is.

21 MR. SUGARMAN: To elaborate, just to clarify the
22 question.

23 JUDGE SMOLEN: It's not testimony.

24 MR. SUGARMAN: Exactly.

25 Mr. Frieman, if you take the word purchase --

1 JUDGE SMOLEN: Well, wait. We will give you a
2 chance to cross-examine when they are finished.

3 MR. SUGARMAN: Okay.

4 MS. DUSMAN: I think I will try to limit it to one
5 final question.

6 I guess there is an outstanding objection on the
7 question that I posed to Mr. Frieman assuming the truth
8 of Mr. Van Dyke's testimony earlier in the proceeding.

9 And I guess Your Honor didn't rule on it.

10 JUDGE SMOLEN: Everybody probably forgot the
11 question, so why don't you try it again.

12 MS. DUSMAN: Okay. I will try it again.

13 BY MS. DUSMAN:

14 Q. Mr. Frieman, assuming that Mr. Van Dyke is
15 correct that energization of this line will have no
16 impact on value, will have no impact on future use, your
17 figure of the value of the properties at \$160 million
18 would remain unchanged if PECO owned those properties,
19 would it not?

20 A. Based on my understanding of the reason we
21 would purchase, circumstances would change from what he
22 purported. I agree with what he said, and what he said
23 was that the energization of the line as it is and with
24 the way the properties are would have no adverse effect
25 on the value. And I agree with that. However, if

1 circumstances changed and we were ordered to buy this
2 property within certain limits that were established by
3 the Commission, that would then change the use because it
4 would become a utility corridor and the value always
5 changes when you change the use.

6 Now, I can't predict what that would be but my
7 supposition is that if it became a utility corridor it
8 would be treated like our other utility corridors and
9 there would be a dramatic change in the use. So that the
10 use would be more related to utility uses as a
11 longitudinal corridor and, yes, there would be value for
12 supplementary uses like pipelines, maybe a highway and so
13 forth. But initially the value would probably drop off
14 because of the removal of the improvements and then
15 ultimately it would recycle and come back to what it is
16 and maybe go higher later than if there were uses. But
17 there is way to predict those uses, or even if the
18 regulations would prohibit such uses. So that is an
19 unknown factor.

20 So it is very difficult for me to relate what I
21 said specifically to what he said. I do agree with what
22 he said, but the circumstances here are entirely
23 different.

24 Q. Nonetheless, if PECO purchased property worth
25 \$160 million today and retained that property for

1 whatever purpose, PECO would then own that amount of
2 property and that would have some value, would it not?

3 A. The cost to carry property by a public utility
4 to our customers, assuming it is utility property and it
5 would be in the rate base, at the present time runs about
6 16 percent when you count all the factors, taxes, the
7 whole gamut of those costs. So that when you consider
8 the undeveloped land that we would be buying and the
9 present real estate market, I think it would be
10 catastrophic on the effect to the company on the losses
11 just on the carrying costs.

12 MS. DUSMAN: No further questions, Your Honor.

13 JUDGE SMOLEN: Mr. Sugarman.

14 MR. SUGARMAN: Thank you, Your Honor.

15 CROSS-EXAMINATION

16 BY MR. SUGARMAN:

17 Q. Mr. Frieman, in the first part of your answer,
18 your first part of your answer is not affected by any
19 assumption as to condemnation one way or the other,
20 right, through to line 16? That is just market value?

21 A. Yes.

22 Q. And the second part of your answer, lines 17 to
23 line 22, deals with the condemnation assumption or
24 condemnation alternative, is that correct?

25 A. That's correct.

1 Q. Now, did you make any effort to ascertain the
2 aggregate market value by your methodology of the
3 Protestants' properties?

4 A. No, I did not.

5 Q. Did you make any effort to ascertain the market
6 value of properties that would need to be acquired if the
7 test were any other test than one milligauss five percent
8 of the time?

9 A. No, I did not.

10 Q. Now, did you make any effort to consider
11 whether uses -- bearing in mind that the Protestants'
12 position was that, and I quote from my letter, the impact
13 of electromagnetic fields on children has been
14 demonstrated, end of quote, did you make any effort to
15 value the property for reuses that would not entail
16 residences, that would include every allowable use other
17 than residences for children or schools?

18 A. No, I did not.

19 MR. SUGARMAN: That is all I have. Thank you.

20 MR. BONNEY: We have no redirect, Your Honor.

21 JUDGE SMOLEN: Anything further of this witness?

22 (No audible response.)

23 JUDGE SMOLEN: The witness is excused. Thank you
24 very much for appearing and testifying, sir.

25 THE WITNESS: Thank you.

1 (Witness excused.)

2 MR. BONNEY: Your Honor, that concludes the
3 presentation of the company's case for today. We have
4 two witnesses from out of town who are available on other
5 days only, but as we previously mentioned at the start, I
6 believe that the OCA wanted to call its witness,
7 Mr. Janes.

8 JUDGE SMOLEN: Before we get to the OCA, what do we
9 have scheduled for tomorrow?

10 MR. BONNEY: We have Dr. Cole and Dr. Gelmann for
11 the company. Dr. Cole is tomorrow. Dr. Gelmann is
12 available next Tuesday.

13 JUDGE SMOLEN: I understand. But tomorrow, then,
14 you are scheduled for Dr. Cole?

15 MR. BONNEY: Yes.

16 JUDGE SMOLEN: And that would be your sole witness?

17 MR. BONNEY: Correct.

18 JUDGE SMOLEN: And now we want to go to OCA?

19 MS. McCLOSKEY: Yes, Your Honor.

20 JUDGE SMOLEN: Let's go ahead.

21 MS. McCLOSKEY: The Office of Consumer Advocate
22 calls David Janes to the stand.

23 Whereupon,

24 DAVID E. JANES

25 having been duly sworn, testified as follows:

1 JUDGE SMOLEN: Please have a seat. Keep your
2 voice. State your full name and address for the record.

3 THE WITNESS: David E. Janes, 6723 Whittier Avenue,
4 McLean, Virginia 22101.

5 JUDGE SMOLEN: Counsel.

6 MS. McCLOSKEY: Thank you, Your Honor.

7 Your Honor, we may have some brief oral surrebuttal
8 testimony as well, but the more logical progression here
9 may be to have our cross-examination on his additional
10 direct testimony and then only if necessary would we do
11 the brief oral surrebuttal.

12 JUDGE SMOLEN: Any objection.

13 MR. SMITH: That's fine, Your Honor.

14 JUDGE SMOLEN: All right. Let's proceed in that
15 fashion.

16 MS. McCLOSKEY: Your Honor, I would like to have
17 marked for identification OCA Statement No. 1B, which is
18 the additional direct testimony of David E. Janes on
19 remand.

20 JUDGE SMOLEN: So marked for identification.

21 (Whereupon, the document was marked
22 as OCA Statement No. 1B
for identification.)

23 DIRECT EXAMINATION

24 BY MS. McCLOSKEY:

25 Q. Mr. Janes, do you have before you a copy of

1 your prepared prefiled additional direct testimony in
2 this case?

3 A. I do.

4 Q. Consisting of 17 pages of questions and
5 answers?

6 A. I do.

7 Q. And a two page listing of references?

8 A. Yes, I do.

9 Q. And was this testimony and these references
10 prepared by you or under your direct supervision?

11 A. It was.

12 Q. And do you have any additions, corrections or
13 modifications to make to your testimony at this time?

14 A. I do.

15 On page 14 of the testimony, at line ten, in the
16 table, the figure that is identified as 1,200 amps as the
17 figure heading should be a thousand. It is a
18 typographical error.

19 Q. Now, subject to that correction, is the
20 testimony true and correct to the best of your knowledge,
21 information and belief?

22 A. It is.

23 Q. And subject to that correction, is the
24 testimony -- if I were to ask you these questions today
25 under oath would your answers be the same?

1 A. They would.

2 MS. McCLOSKEY: Your Honor, we would ask that OCA
3 Statement No. 1B be admitted into evidence subject to
4 cross-examination and timely motions by opposing Counsel.

5 JUDGE SMOLEN: It is received with that
6 qualification.

7 (Whereupon, the document marked as
8 OCA Statement No. 1B
9 was received in evidence.)

10 JUDGE SMOLEN: Let me ask, have the reporter's
11 copies been corrected?

12 MS. McCLOSKEY: No, they have not. But I can make
13 that correction.

14 JUDGE SMOLEN: Why don't we do that so that the
15 record copies are correct as well.

16 MS. McCLOSKEY: Certainly. We will make those
17 corrections.

18 JUDGE SMOLEN: All right.

19 MS. McCLOSKEY: And Mr. Janes is available for
20 cross-examination.

21 JUDGE SMOLEN: Mr. Sugarman, do you have any
22 questions of the witness?

23 MR. SUGARMAN: I do, Your Honor

24 CROSS-EXAMINATION

25 BY MR. SUGARMAN:

Q. Mr. Janes, in your prepared testimony on page

1 four, line 20, you state that the most troublesome of
2 these new results is the association between childhood
3 leukemia and magnetic field exposure in the Swedish
4 residential study. When you say the most troublesome, do
5 you mean the most difficult to accept or do you mean the
6 most troublesome from the point of view of causing
7 concern about exposure? Or some other meaning of the
8 term the most troublesome?

9 A. From my reading of the epidemiological,
10 literature to this point, the most consistent observation
11 across these studies is an association between exposure
12 to magnetic fields and the incidence of leukemia.
13 Whether the association is statistically robust is
14 another question. But that seems to be a fairly
15 consistent observation across the studies.

16 Q. So what does the term the most troublesome mean
17 here? Does it mean the most troublesome with respect to
18 public health impacts or the most troublesome with
19 respect to scientific validity or what? What does the
20 term the most troublesome mean in this context?

21 A. Perhaps it is a poor choice of words.

22 Q. No, I'm not saying it is. I just don't --
23 because of the way it is written here I'm not sure what
24 it means.

25 A. It is an observation on the basis of this

1 consistency which I feel needs further investigation.

2 Q. But what does the term most troublesome mean?

3 A. I think I explained that. As I said, maybe it
4 was a poor choice of words. The observation is
5 consistent or fairly consistent across studies. It is an
6 observation that needs to be looked at some more detail.
7 And that is what troublesome meant to me.

8 Q. I see..

9 You mention the Swedish study. Did you review the
10 Danish study as well?

11 A. Superficially in the sense that there really is
12 not enough there for me to get -- it is an unpublished
13 preliminary report from my understanding. The copy I had
14 is certainly unpublished. And I can draw no conclusions
15 from that study.

16 Q. Now, you mention the EPA role -- I'm sorry --
17 the federal government role at page ten of your
18 testimony.

19 A. Yes.

20 Q. And you mention the Federal Energy Policy Act,
21 which identified the Department of Energy and the
22 National Institute of Environmental Health Sciences.
23 Since the time of your testimony has there been any
24 progress on the implementation of the studies by these
25 agencies? You mention on line 12 that the committees

1 have not yet been appointed. Has that condition changed
2 since the time you prepared your testimony?

3 A. I don't know.

4 Q. Now, on page 11, line 18, you indicate that a
5 health-based standard cannot be established at this time.

6 A. Yes.

7 Q. Because the uncertainties are just too great.

8 Q. And you mention some of the uncertainties that exist.

9 Do you have a recommendation as to what actions
10 should occur at this time by way of public policy in view
11 of your evaluation of the existing knowledge and existing
12 evidence?

13 A. A recommendation as to...?

14 Q. As to what should be done with respect to new
15 proposed powerlines.

16 (Pause.)...

17 Q. I realize in your testimony you have asked and
18 answered the question posed by Counsel, specifically,
19 could similarity and prudence concepts be incorporated
20 into the regulatory process. But that question is not an
21 open-ended question. I am asking you a more open-ended
22 question.

23 Do you have a recommendation as to what measures
24 should be taken, if any, with respect to construction of
25 new powerlines and exposure of children to them?

1 MR. SMITH: I object, Your Honor. The question
2 goes to all powerlines and this case goes to this
3 transmission line.

4 MR. SUGARMAN: Well, I think I am entitled to ask
5 him a general question as to his opinion and then to see
6 if it applies to this particular powerline. It tests his
7 overall --

8 JUDGE SMOLEN: I am going to sustain. Let's limit
9 it to this line.

10 I think that was your original question, what
11 should be done with this -- what is his opinion as to
12 what should be done with this line.

13 MR. SUGARMAN: Well, the question that is asked on
14 page 14 is not limited to this line. It is the same
15 generality of the question that I asked. His answer is
16 both general and then specific. So I was starting the
17 same way and asking him for a generality first.

18 JUDGE SMOLEN: All right. In view of the fact --
19 upon rereading the question, I think Mr. Sugarman is
20 correct. Therefore, I am going to reconsider my prior
21 ruling and permit the witness to answer the question.

22 MR. SUGARMAN: Thank you, Your Honor.

23 BY MR. SUGARMAN:

24 Q. Do you remember the question, Mr. Janes?

25 A. Why don't you repeat it.

1 Q. The question is bearing in mind your opinion
2 that a health-based standard cannot be developed at this
3 time, do you have a recommendation as to what if anything
4 should be done to limit exposure of children to magnetic
5 fields in connection with new powerlines?

6 A. In an attempt to be responsive to what I
7 thought the Commission's concerns were, I treated two
8 things in the testimony. One was --

9 Q. Mr. Janes, I'm not asking you to be responsive
10 to the Commission's concerns as you understand them. I
11 am asking you a more general question, similar to the one
12 OCA asked you: do you have a recommendation as to what
13 should be done if anything with respect to exposure of
14 children? Maybe it is the same answer. But the question
15 I want is unconstrained by your interpretation of what
16 the Commission wants.

17 A. All right. In the testimony I treated two
18 issues. I treated a general issue and I treated a
19 specific issue. Now, there are a number of prudence
20 things that are laid out in the testimony that I adopted
21 from Dr. Rosenbaum's previous testimony which go to the
22 issue of prudence. And those are laid out here on page
23 15.

24 Q. Sixteen. And those are your unconstrained
25 opinions as to what should be done with respect to

1 exposure to new powerlines?

2 A. Yes. I don't know that, you know, on
3 reflection that one might not add to this list. But at
4 the moment this is the list, yes.

5 Q. Now, on page 16, lines 28 to 30, you talk about
6 the possibility of an interim standard. Now, in
7 considering the interim standard is your consideration --
8 what does your consideration assume as to the need for
9 the facility in question during the interim period?

10 A. I have no information on the need for the
11 facility.

12 Q. So would you agree that consistent with your
13 testimony an interim standard should consider whether the
14 particular new line is needed? That is to say that
15 prudent avoidance would by your testimony entail avoiding
16 the construction of new lines and consequent exposure if
17 they were not needed in this interim period?

18 A. That is a hypothetical, I suppose.

19 Q. That is a hypothetical...

20 A. To push it as far as I could, if there were no
21 need for the line it would not be built, I suppose. If
22 one does a risk analyses, then one gets into a situation
23 where one balances or attempts to balance risk and
24 benefits, and I have not looked at the benefit side of
25 this equation at all.

1 Q. Would you agree that in the interim period
2 where uncertainty is a factor, that the benefits side
3 should be looked at?

4 A. I would not want to make a judgement on
5 selecting a level, if one was to push this this far,
6 without having some understanding of what the benefit
7 was.

8 MR. SUGARMAN: Thank you very much.

9 I have no further questions.

10 JUDGE SMOLEN: Mr. Dillon.

11 MR. DILLON: Just a couple of questions, Your
12 Honor.

13 CROSS-EXAMINATION

14 BY MR. DILLON:

15 Q. Good morning, Mr. Janes.

16 A. Good morning.

17 Q. Excuse me for being behind you.

18 At pages 16 to 17 of your remand testimony you
19 describe a methodology which could be used to set a
20 similarity-based edge of right-of-way magnetic field
21 standard should the Commission chose to do so. Do you
22 recall that testimony?

23 A. Yes.

24 Q. Based on your experience in such matters would
25 you expect that a similarity-based edge of right-of-way

1 magnetic field standard established for this line in the
2 manner you described be set at a level below one
3 milligauss?

4 A. What I have described here is a process for
5 arriving at the number and there are a number of
6 determinations that go into that, to evolving that piece.
7 For prudence applied to a number that would determine a
8 similarity base, I doubt that one would find themselves
9 going as low as one milligauss, but I don't know. I am
10 not in a policy making position.

11 Q. I understand that.

12 Would you agree with me, though, that based on
13 what experience you do have and what knowledge you do
14 have that a standard established for this line in the
15 manner that you described could be set at a substantially
16 higher level than one milligauss? Five, 10, 20
17 milligauss? I'm not trying to pin you down.

18 A. Well, I am not trying to recommend a number.
19 That is the point that I am trying to stay away from.
20 Because as I said earlier balancing the risks and
21 benefits are things that go into that equation and I
22 don't have those. So that the number that one develops
23 is going to come out of the process and the process would
24 have to take place and one would have to make judgements
25 at the end and the number could fall anyplace as a policy

1 issue. I hope that is responsive.

2 MR. DILLON: No further questions.

3 JUDGE SMOLEN: Law Bureau.

4 MS. BURKET: No questions, Your Honor.

5 JUDGE SMOLEN: PECO.

6 MR. SMITH: One moment, Your Honor.

7 (Pause.)

8 CROSS-EXAMINATION

9 BY MR. SMITH:

10 Q. Mr. Janes, you have just been asked some
11 questions about your testimony on policy and prudent
12 avoidance by a number of parties. Just to make sure that
13 the record is clear, your testimony as stated on pages 15
14 through 17 of your direct written testimony, is that
15 still your opinion and your testimony after those
16 questions?

17 A. Yes. If I understand what you are asking me,
18 yes.

19 Q. Do you want to change any of that testimony?

20 A. No.

21 Q. Could you please turn to page two, lines 13
22 through 19, of your written testimony?

23 Now, at the end of that paragraph you refer to
24 three extensive reviews of the literature that were
25 conducted since you last testified, correct?

1 A. That's correct.

2 Q. You refer to them as supporting the conclusion
3 that the science is unclear or that -- I will leave it
4 there, that the science is unclear.

5 A. Yes.

6 Q. One of those documents or reports that you
7 referred to is a report by the Oak Ridge Associated
8 Universities?

9 A. That's correct.

10 Q. And by way of background, what is the Oak Ridge
11 Associated Universities?

12 A. Oak Ridge -- I will describe this for you
13 generically. It is a consortium of universities. I
14 don't recall how many.

15 This particular document that was developed was
16 developed for a federal government committee by the Oak
17 Ridge Associated Universities, and for that committee the
18 Oak Ridge Associated Universities provides the technical
19 support for the committee. There is an office in
20 Washington. It is staffed by some technical employees of
21 the university and it provides information to something
22 that is called the Committee on Inter-Agency Radiation
23 Research and Policy Coordination that consists of two
24 groups, a policy group which essentially is the assistant
25 administrator level across a number of federal agencies,

1 I think 14. And then there is a science panel that is
2 adjunct to that which has representatives from federal
3 agencies at the scientific level. For example, when I
4 was at EPA I was the EPA representative on that science
5 panel.

6 Q. Now, the report that you referred to is titled
7 Health Effects of Low Frequency Electric and Magnetic
8 Fields?

9 A. That's correct.

10 Q. And that was prepared in June, 1992?

11 A. Yes.

12 Q. I would like to read a paragraph to you from
13 the executive summary of this and ask you if you think
14 this is a fair characterization or a fair summary of this
15 document based on your review.

16 A. Okay.

17 Q. "This review indicates that there is no
18 convincing evidence in the published literature to
19 support the contention that exposures to extremely low
20 frequency electric and magnetic fields generated by
21 sources such as household appliances, video display
22 terminals and local powerlines are demonstrable health
23 hazards." Do you think that that is a fair
24 characterization or a fair choice for summary of this
25 document?

1 MR. SUGARMAN: I would object to that because I
2 don't know what the words "local" in that document means.

3 MS. McCLOSKEY: And I would ask that Mr. Janes be
4 allowed to look at the document.

5 JUDGE SMOLEN: All right. Let Mr. Janes look at
6 it.

7 MR. SMITH: Yes.

8 MR. SUGARMAN: Your Honor, I would further object
9 to the question on the ground that the document speaks
10 for itself and the witness -- it would be a violation of
11 the best evidence rule for the witness to characterize
12 whether a single sentence is a fair summary of the entire
13 book, which appears to be about 300 pages thick.

14 MR. SMITH: Your Honor, the document is --

15 JUDGE SMOLEN: Let Counsel have a chance to look at
16 the document.

17 (Pause.)

18 JUDGE SMOLEN: Now, let's have the objection again.

19 MR. SUGARMAN: The objection, Your Honor, is that
20 it is inappropriate and objectionable as being an opinion
21 that the witness should not be asked to give when the
22 document is in evidence as to whether a single sentence
23 in there is a summary of 300 pages. The document speaks
24 for itself.

25 MS. McCLOSKEY: And, Your Honor, I would have to

1 say that I think that the question needs to be more
2 focused if you pull one sentence, whether it is a summary
3 of an entire document or sections of a document or what
4 exactly Counsel believes that one sentence is referring
5 to, what portion of the document.

6 JUDGE SMOLEN: Now.

7 MR. SMITH: With regard to Mr. Sugarman's
8 objection, I would like to respond that the document
9 itself is not in evidence and in fact it is exactly
10 Mr. Janes' opinion about what this document means that we
11 are seeking here and that we should be seeking here.

12 Ms. McCloskey's objection, she asks that the
13 question be more focused. That is not an objection. She
14 can redirect on that. If the witness does not understand
15 the question, he can so answer. But it's not an
16 objection to the question.

17 MR. SUGARMAN: I would further reiterate my earlier
18 objection that the document with the sentence out of
19 context does not define the word local, which is a
20 critical element as related to this particular
21 proceeding. And therefore I object to it on the ground
22 it is a vague question.

23 MS. McCLOSKEY: And I think my objection is an
24 objection. It is that the question is overbroad and
25 vague and unable to be answered as stated.

1 MR. SMITH: Mr. Sugarman can't object to --

2 JUDGE SMOLEN: I am going to overrule Mr. Sugarman.
3 However, I am going to sustain the OCA.

4 Now, if you want to clarify it and make it more
5 specific, I will permit you to do so.

6 MR. SMITH: Yes, Your Honor.

7 JUDGE SMOLEN: Go ahead.

8 BY MR. SMITH:

9 Q. Mr. Janes, when you reviewed the document a few
10 moments ago did you note that this -- that the sentence
11 that I read to you appears in the executive summary?

12 A. Yes.

13 Q. Did you note that it is the first paragraph
14 under the heading Conclusions and Recommendations?

15 A. Not particularly, but that's --

16 Q. Would you take that subject to check?

17 A. I would take that subject to check, yes.

18 Q. Do you agree with this statement based on your
19 review of this report, that this review indicates that
20 there is no convincing evidence in the published
21 literature to support the contention that exposures to
22 extremely low frequency electric and magnetic fields
23 generated by sources such as household appliances, video
24 display terminals and local powerlines are demonstrable
25 health hazards?

1 A. I think that statement is consistent with the
2 position that -- I mean, it is stated a different way but
3 I said in my first testimony that there were cellular
4 effects, they were observable, they were difficult to
5 interpret in terms of effects seen in animal systems but
6 effects were seen in animal systems, that it was
7 difficult to find lacking a mechanism a way to
8 extrapolate these observed and I think now uncontested,
9 and certainly as far as this document is concerned
10 uncontested, effects.

11 The situation with respect to effects from the
12 exposure to these fields is unclear. That is what I
13 said. I think that is perfectly consistent with the
14 statement that there has not been a demonstrable health
15 hazard.

16 Q. I understand.

17 A. I think it is a consistent statement.

18 Q. Mr. Janes, in your testimony you describe a
19 process or method by way the Commission, you say, could
20 set edge of right-of-way magnetic field standards for the
21 Woodbourne-Heaton line, is that correct?

22 A. That's correct.

23 Q. Do you recommend that edge of right-of-way
24 magnetic field standards should be developed for the
25 Woodbourne-Heaton 230 kV line?

1 A. I received that question in an interrogatory
2 and I think it is probably best that I just read into the
3 record the statement that I made at that time.

4 And it says, "No, I am not recommending that the
5 Commission set a standard for magnetic fields at the edge
6 of the Woodbourne-Heaton right-of-way. As stated in my
7 direct testimony, it is premature to set a health-based
8 standard because of scientific uncertainty about whether
9 exposure to power frequency magnetic fields is harmful."

10 "However, in an attempt to be responsive to the
11 Commission's concerns I did two things. First, I
12 reiterated a number of prudence measures I feel should be
13 considered in all siting proceedings, including new
14 applications. Second, I identified a process that the
15 Commission might use to chose a numerical limit if for
16 reasons other than health protection the Commission finds
17 it necessary to set a standard for the Woodbourne-Heaton
18 line. The process would incorporate prudence in the
19 selection of numerical limits to the extent it gives
20 weight to newer lines that include field reductions as a
21 design parameter."

22 That is my statement with respect to that issue.

23 MR. SMITH: No further cross-examination.

24 JUDGE SMOLEN: Go ahead. Now you are going to
25 redirect and then go into -- we will give everybody a

1 chance. Finish up on this testimony and then you go into
2 your rebuttal or surrebuttal.

3 MS. McCLOSKEY: ...Sure. Could I just have a minute,
4 though, with Mr. Janes?

5 JUDGE SMOLEN: Oh, yes. Let's take a five minute
6 break, then.

7 (Recess.)

8 JUDGE SMOLEN: Back on the record.

9 MS. McCLOSKEY: Thank you, Your Honor.
10 We have no redirect.

11 JUDGE SMOLEN: All right.

12 MS. McCLOSKEY: And we would have no need to do
13 oral surrebuttal either at this time.

14 JUDGE SMOLEN: Then is there anything further of
15 this witness?

16 (No audible response.)

17 JUDGE SMOLEN: ..Hearing no response, the witness is
18 excused. Thank you very much for appearing and
19 testifying today.

20 THE WITNESS: Thank you.

21 (Witness excused.)

22 JUDGE SMOLEN: I would assume that would conclude
23 today's hearing, is that correct?

24 MR. BONNEY: Yes, Your Honor.

25 JUDGE SMOLEN: There are no further witnesses to be

1 presented today?

2 MR. BONNEY: Yes, Your Honor.

3 JUDGE SMOLEN: So tomorrow we have scheduled only
4 one witness?

5 MR. SMITH: Yes, Your Honor. Dr. Cole.

6 JUDGE SMOLEN: Dr. Philip Cole, is that correct?

7 MR. SMITH: Yes, Your Honor.

8 JUDGE SMOLEN: All right. Then we will resume
9 again tomorrow at 10:00 a.m. for that testimony and
10 cross-examination.

11 So we stand adjourned until 10 o'clock tomorrow.

12 Thank you very much.

13 (Whereupon, at 12:30 p.m., the hearing was
14 adjourned, to be reconvened at 10:00 a.m. on Friday, May
15 28, 1993, in Philadelphia, Pennsylvania.)

16

17

18

19

20

21

22

23

24


25

C E R T I F I C A T E

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I hereby certify, as the stenographic reporter,
that the foregoing proceedings were taken
stenographically by me and thereafter reduced to
typewriting by me or under my direction; and that this
transcript is a true and accurate record to the best of
my ability.

COMMONWEALTH REPORTING COMPANY, INC.



By: _____

Robert J. Stonaker

COPY

PECO Direct on Remand No. 3

D-11550F053

5/27/93

Phila., PA

145

BEFORE THE

PENNSYLVANIA PUBLIC UTILITY COMMISSION

DIRECT TESTIMONY ON REMAND

OF

RICHARD STEVEN BOCKMAN

ON BEHALF OF

PHILADELPHIA ELECTRIC COMPANY

REGISTRATION DIVISION
Information Control Division

RECEIVED
JUN 03 1993

DOCUMENT
FOLDER

DOCKETED
JUN 14 1993

May 12, 1993

DIRECT TESTIMONY OF RICHARD S. BOCKMAN

I. Introduction and Background

Q. Please state your name and business address.

A. Richard S. Bockman, 520 East 72nd Street, Apartment Lobby S,
New York, New York, 10021.

Q. What is your occupation?

A. I am a medical doctor, a researcher, and a teacher in the
fields of Endocrinology and Immunology.

Q. Have you previously testified in this proceeding?

A. Yes. I submitted written testimony (PECO Rebuttal Statement
No. 1) in November 1991. My previous testimony addressed the
Endocrine system, the Immune system, and the electric and/or
magnetic field ("EMF") research related to those subjects.

II. Scope of Testimony

Q. Dr. Bockman, what were you asked to do for the remanded
hearings in this proceeding?

A. I was asked to review the EMF research which has come to my
attention since my previous testimony in my areas of expertise
of Endocrinology and Immunology.

III. Recent EMF Research on the Endocrine System

Q. Dr. Bockman, what new EMF research on the Endocrine system
will you discuss?

A. I will discuss new EMF research related to: (1) the
neuroendocrine system, (2) biological rhythms, and (3)
reproduction and development.

A. Recent EMF Research on the Neuroendocrine System

Q. Please describe the recent EMF research on the neuroendocrine
system.

A. In the area of neuroendocrine research, there is new research
on perception of magnetic fields and on calcium metabolism.

1
2
3
4
5
6
7
8
9
10

Research on Perception

Q. Please describe the recent research on perception of magnetic fields.

A. A recent study exposed rats to 30,300 mG magnetic fields and observed no change in their avoidance behavior (Lovely et al., 1992). With respect to magnetic fields, there remains no evidence to date to indicate that humans can perceive power frequency magnetic fields at levels associated with transmission lines or even at levels that far exceed levels associated with transmission lines.

11
12
13
14
15
16
17
18
19
20
21
22
23
24

Research on Calcium Metabolism

Q. Please describe the recent EMF research on calcium metabolism.

A. Two studies attempted to replicate prior calcium research under the ion cyclotron resonance hypothesis, one using diatoms (Parkinson & Sulik 1992), the other using human lymphocytes (Prasad et al. 1991). In both cases, the researchers were unable to replicate the results of prior research.

In addition, Bruckner-Lea et al. (1992) exposed solutions to power frequency magnetic fields and found no alteration in the way a synthetic and naturally occurring calcium-binding substance interacts with calcium in the presence of a magnetic field.

25
26
27
28

These developments are consistent with my previous conclusion regarding EMF and calcium metabolism that 60 Hz electric and/or magnetic fields do not modulate cell function or Endocrine system function by altering calcium metabolism.

29
30
31
32

B. Recent EMF Research on Biological Rhythms

Q. Please describe the recent research on biological rhythms.

A. One of the biological rhythms that has been studied with regard to EMF is the circadian rhythm of the hormone

1 melatonin. In a recent study, Soriano et al. (1992) exposed
2 rats to 52,000 milligauss magnetic fields and then measured a
3 neuro-anatomical correlate of melatonin rhythms (presence of
4 "pineal synaptic ribbons"). They observed a decrease in the
5 number of synaptic ribbons after 15 and 21 days of exposure.

6 This research involved magnetic field levels many times higher
7 than could be associated with a transmission line (i.e.,
8 52,000 milligauss) and it thus has little weight in
9 determining the effects of transmission line fields on
10 melatonin rhythms. For the reasons stated in my previous
11 testimony (PECO Rebuttal Statement No.1, p. 18) (e.g., there
12 are no known biologic consequences of the reported change in
13 melatonin levels, the changes in melatonin are not associated
14 with changes in other biological rhythms and, in any event,
15 have not been shown to occur in humans), I continue to
16 conclude that the rat melatonin studies do not provide a basis
17 for concluding that power frequency fields lead to adverse
18 effects on human biologic rhythms.

19
20 C. Recent EMF Research on Reproduction and Development

21 Q. Please describe the recent research on reproduction and
22 development.

23 A. Additional research has been conducted using chick embryos to
24 determine whether exposure to 60 Hz fields affects fetal
25 malformations (Martin 1992) or temporal aspects of development
26 (Koch & Koch 1991). As with previous research on chick
27 embryos using power frequency sinusoidal fields, there were no
28 significant differences between the exposed and control
29 groups.

30 While I am not an expert in epidemiology, I note that Dlugosz
31 et al. (1992) conducted an epidemiological study of
32 reproductive effects and found no association between use of
33 electric bed heating and congenital defects.

1 As described in my previous testimony, the endpoints addressed
2 in these studies already had been extensively tested in
3 previous EMF research, with negative results. These
4 additional negative studies are consistent with those prior
5 results.

6 IV. Recent EMF Research on the Immune System

7 Q. Please describe the recent research on EMF and the immune
8 system.

9 A. In my previous testimony, I discussed an experiment by Conti
10 et al. (1983) looking at the effect of exposing isolated human
11 lymphocytes to magnetic fields and plant lectins (PECO
12 Rebuttal Statement No. 1, p. 23). Research with human
13 lymphocytes has continued, using magnetic fields alone (Prasad
14 et al. 1991, Persson et al. 1991) and magnetic fields and
15 plant lectins (Yost & Liburdy 1992). Some reports have been
16 positive, others have been negative. There is no clear
17 biologic relevance of these studies using unusual plant
18 lectins on naked cells.

19 Research using whole animals continues to provide much more
20 accurate reflection of the functional integrity of the immune
21 system. McLean et al. (1991) examined tumor promotion and
22 immune response in intact animals and showed that a 20,000
23 milligauss 60 Hz magnetic field had no effect on host immune
24 response when natural killer cell activity was followed.

25 V. Recent Reviews of the EMF Research and Conclusions Regarding
26 the EMF Research

27 Q. Dr. Bockman, are you familiar with any recent reviews of the
28 EMF research?

29 A. Yes, a number of such reviews were made available in the last
30 year. For example, a scientific panel known as the Electro-
31 Magnetic Health Effects Committee was asked by the Texas
32 Public Utility Commission to provide a review of the EMF

1 research. With regard to Endocrine and Immune functions, its
2 review, released in 1992, concludes that:

3 "Research evidence presented to date appears to reject
4 the hypothesis that acute or prolonged exposure to EMF
5 equivalent or several times stronger than fields
6 experienced under high-voltage AC transmission lines
7 results in biologic disruption of endocrine or
8 immunologic systems."

9 Q. Do you agree with this conclusion?

10 A. Yes, I do.

11 VI. Right-of-Way Width Standards

12 Q. Dr. Bockman, based on your review of the research in your
13 areas of expertise, do you have an opinion as to whether
14 magnetic field right-of-way width standards can be
15 scientifically justified?

16 A. Since it is my opinion that power frequency electric and/or
17 magnetic fields several times stronger than those experienced
18 under transmission lines do not disrupt the Endocrine or
19 Immune systems, I see no reason from the Endocrine or Immune
20 science for setting such standards.

21 Q. Does this conclude your testimony?

22 A. Yes.

Dr. Richard Bockman

References

Bruckner-Lea, C., C.H. Durney, J. Janata, C. Rappaport & M. Kaminski, "Calcium binding to metallochromic dyes and calmodulin in the presence of combined, AC-DC magnetic fields," 13 Bioelectromagnetics 147-162 (1992)

Dlugosz, L., et al., "Congenital defects and electric bed heating in New York State: a register-based case-control study," 135 Am. J. Epi. 1000-1011 (1992)

Electro-magnetic Health Effects Committee, "Health effects of exposure to powerline-frequency electric and magnetic fields" Report prepared for the PUC of Texas, Austin (1992)

Koch, W.E. & B.A. Koch, "Exposure of chicken embryos to selected magnetic fields," 10 J Bioelectricity 65-80 (1991)

Lovely, R.H., J.A. Creim, W.T. Kaune, M.C. Miller, R.D. Phillips & L.E. Anderson, "Rats are not aversive when exposed to 60-Hz magnetic fields at 3.03 mT," 13 Bioelectromagnetics 351-62 (1992)

Martin, A.H., "Development of chicken embryos following exposure to 60-Hz magnetic fields with differing waveforms," 13 Bioelectromagnetics 223-230 (1992)

McLean, J.R.N., M.A. Stuchley, R.E.J. Mitchel, D. Wilkinson, H. Yang, M. Goddard, D.W. Lecuyer, M. Schunk, E. Callary & D. Morrison, "Cancer promotion in a mouse-skin model by a 60-Hz magnetic field: II. Tumor development and immune response," 12 Bioelectromagnetics 273-287 (1991)

Parkinson, W.C. & G.L. Sulik, "Diatom response to extremely low frequency magnetic fields," 130 Rad. Res. 319-30 (1992)

Persson, B.R.R., et al., "Interaction of low-level combined static and extremely-low-frequency magnetic fields with calcium ion transport in normal and transformed human lymphocytes and rat thymic cells," Chapter 11, pp. 199-209 in Interaction Mechanisms of Low-level Electromagnetic Fields in Living Systems, B. Norden and C. Ramel, eds. (1992)

Prasad, A.V., M.W. Miller, E.L. Carstensen, Ch. Cox, M. Azadniv & A.A. Brayman, "Failure to reproduce increased calcium uptake in human lymphocytes at purported cyclotron resonance exposure conditions," 30 Radiat. Environ. Biophys. 305-320 (1991)

Soriano, F.M., M.G. Gonzalez, E. Armanazas, A.R. Torner, "Pineal 'Synaptic Ribbons' and Serum Melatonin Levels in the Rat Following the Pulse Action of 52-Gs (50-Hz) Magnetic Fields: An Evolutive Analysis Over 21 Days," 143 Acta Anat 289-293 (1992)

Yost, M.G. & R.P. Liburdy, "Time-varying and static magnetic fields act in combination to alter calcium signal transduction in the lymphocyte," 296 FEBS Letters 117-22 (1992)

COPY

PECO Direct on Remand No. 2

A-110550 F055

5/27/93

Philo., PD

R/S

BEFORE THE
PENNSYLVANIA PUBLIC UTILITY COMMISSION

DIRECT TESTIMONY ON REMAND

OF

CHARLES J. BOEGGEMAN

ON BEHALF OF

PHILADELPHIA ELECTRIC COMPANY

MAGNETIC FIELDS ASSOCIATED WITH
THE WOODBOURNE-HEATON RIGHT-OF-WAY

**DOCUMENT
FOLDER**

DOCKETED
JUN 14 1993

May 12, 1993

1 DIRECT TESTIMONY OF CHARLES J. BOEGGEMAN

2 I. Introduction and Background

3 Q. Please state your name and business address.

4 A. Charles J. Boeggeman, 2301 Market Street, Philadelphia,
5 Pennsylvania 19101.

6 Q. Have you previously testified in this proceeding?

7 A. Yes. I submitted written testimony (PECO Direct Statement No.
8 2) in August 1991. My previous testimony addressed the
9 electric and magnetic fields expected to be produced by the
10 Woodbourne-Heaton transmission line.

11 Q. Since your previous testimony, have you made any presentations
12 regarding EMF?

13 A. Yes. In June 1992, as Chair of PECO's EMF Task Force, I
14 testified before the Department of Energy regarding its Draft
15 National EMF Research and Communications Strategy.

16 II. Scope of Testimony

17 Q. What is the purpose of your testimony in these remanded
18 hearings?

19 A. First, I will briefly review some of the basic characteristics
20 of magnetic fields.

21 Second, I will discuss existing standards for magnetic field
22 levels at the edge of transmission line rights-of-way and
23 compare the magnetic fields from the Woodbourne-Heaton line to
24 those standards.

25 Third, I will discuss the concept of "prudent avoidance" as it
26 applies to the right-of-way for this transmission line.

27 III. Review of Magnetic Fields

28 Q. Could you please provide a brief review of magnetic fields?

29 A. Magnetic fields are created by the flow of electric current

1 through a conductor. The unit of measure of the magnetic field
2 is expressed in milligauss ("mG"). A number of factors
3 contribute to the strength of the magnetic field associated
4 with a transmission line at any point in time and space,
5 including the amount of current flowing through the conductors
6 ("amperage"), the configuration (or design) of the
7 transmission line, and distance from the line.

8 IV. Existing Magnetic Field Standards

9 Q. Mr. Boeggeman, in the previous hearings in this proceeding,
10 evidence was heard on the similarity-based magnetic field
11 standards in New York and Florida. Have any additional
12 standards been enacted for magnetic field levels at the edge
13 of transmission line rights-of-way?

14 A. I am not aware of any standards other than the Florida
15 standard (for 230 kV transmission lines, 150 mG at the edge of
16 right-of-way) and the New York interim standard (200 mG at the
17 edge of right-of-way). Since the record in this proceeding
18 closed, several states have considered whether to enact
19 magnetic field regulations. To my knowledge, none of these
20 states has adopted standards that require a specific right-of-
21 way width or magnetic field level at the edge of right-of-way.
22

23 Q. Please compare the magnetic fields from the Woodbourne-Heaton
24 line to the existing magnetic field standards.

25 A. While the Administrative Law Judge and the Commission have
26 already found that this line meets the Florida and New York
27 standards, it is worth noting that the magnetic fields at the
28 edge of the PECO right-of-way for the Woodbourne-Heaton line
29 not only meet but are well below the magnetic field levels of
30 those standards. For the Woodbourne-Heaton line, the magnetic
31 fields expected under normal operating conditions (i.e., the
32 conditions that will exist over 90% of the time) will not
33 exceed 26 mG at the edge of the right-of-way.

1 Moreover, as discussed in Mr. Oedeman's testimony (PECO Direct
2 on Remand No. 1) the existing Conrail-owned utility corridor
3 extends beyond the PECO right-of-way for most of the length of
4 the line. At the edge of the wider utility corridor in which
5 the PECO right-of-way is located, the expected magnetic fields
6 at normal operating conditions will be in the range of
7 approximately 19 mG to well under 0.5 mG.

8 V. The Concept of Prudent Avoidance

9 Q. Mr. Boeggeman, could you provide a summary review of the
10 concept of prudent avoidance?

11 A. The concept of prudent avoidance is one approach that can be
12 used when considering whether to take steps to limit EMF
13 exposure. Prudent avoidance means limiting exposures when
14 this can be done with small, or modest, investments of money
15 or effort. Prudent avoidance should be evaluated according to
16 the facts of each particular situation -- a particular effort
17 or measure could constitute prudent avoidance in one
18 situation, but not in a second situation.

19 Q. In your opinion, is the right-of-way for the Woodbourne-Heaton
20 line consistent with the concept of prudent avoidance?

21 A. Yes. As I explained earlier in this testimony, several factors
22 affect magnetic field strength at any point in time and space,
23 including amperage, line design, and distance from the line.
24 Right-of-way width can, of course, be viewed as one way of
25 characterizing distance from the line.

26 When the design, amperage load, and right-of-way width for the
27 Woodbourne-Heaton line are evaluated as a whole, it is clear
28 that the combination of these factors, including the projected
29 load on the line and the use of the compact delta design for
30 this line, has resulted in magnetic fields that are far below
31 existing standards.
32

1 In addition, the location of the Woodbourne-Heaton right-of-
2 way within the wider, existing Conrail-owned utility corridor
3 means that, for that vast majority (over 95%) of the line, the
4 fields at the edge of the utility corridor are even lower, and
5 in many cases substantially lower, than at the edge of the
6 PECO right-of-way.

7 This result of low fields at the edge of the right-of-way was
8 achieved at modest or no cost, as the concept of prudent
9 avoidance suggests. I therefore conclude that the existing
10 right-of-way is consistent with the concept of prudent
11 avoidance.

12 Q. Does this conclude your testimony?

13 A. Yes.

COPY

PECO Rebuttal on Remand No. 2

A-110550F055

5/27/93

Phila., Pa.

RFJ

BEFORE THE
PENNSYLVANIA PUBLIC UTILITY COMMISSION

REBUTTAL TESTIMONY ON REMAND

OF

CHARLES J. BOEGGEMAN

ON BEHALF OF

PHILADELPHIA ELECTRIC COMPANY

REBUTTAL TESTIMONY TO
DIRECT TESTIMONY OF OCA WITNESS MR. DAVID JANES
AND TO
PROTESTANTS' POSITION STATEMENT

**DOCUMENT
FOLDER**

DOCKETED
JUN 14 1993

May 20, 1993

1 REBUTTAL TESTIMONY OF CHARLES J. BOEGGEMAN

2 I. Introduction and Background

3 Q. Please state your name and business address.

4 A. Charles J. Boeggeman, 2301 Market Street, Philadelphia,
5 Pennsylvania 19101.

6 Q. Have you previously submitted testimony in the remanded
7 portion of this proceeding?

8 A. Yes. I submitted written testimony (PECO Direct on Remand No.
9 2) on May 12, 1993.

10 II. Scope of Testimony

11 Q. What is the purpose of this rebuttal testimony?

12 A. First, I will comment on Mr. Janes' testimony about a possible
13 method for setting edge of right-of-way magnetic field
14 standards. Second, I will comment briefly on whether the
15 measures proposed in Protestants' position statement (purchase
16 of property and undergrounding) are consistent with the
17 concept of prudent avoidance.

18 III. Comments on Mr. Janes' Testimony

19 Q. In his testimony, Mr. Janes discussed several ways that
20 prudent avoidance might be incorporated into a "similarity-
21 based" standard. (OCA Statement No. 1B, pp. 15-17). Do you
22 have any comments on Mr. Janes' discussion of this idea?

23 A. Yes. Mr. Janes describes a number of possible prudence
24 measures, such as continued "research into the effects of
25 electric and magnetic fields" and "informing the public."
26 PECO generally supports these measures and, indeed, practices
27 many of them. In my view, however, while these measures may
28 be worth consideration as ways to implement prudent avoidance
29 for future lines, they are unrelated to whether the Commission
30 should set right-of-way width standards for this line, and
31 also appear to be unrelated to any process for setting right-
32 of-way width standards for this line.

1 Specifically, the following suggestions by Mr. Janes do not
2 appear to be related to setting right-of-way width standards
3 for this line: (1) requiring utilities in future applications
4 to address field levels by the chosen and alternative designs,
5 as well as actions actively taken to reduce fields (OCA
6 Statement No. 1B, p. 15, lines 8-12); (2) continued research
7 (id., p. 15, lines 17-18); (3) informing the public about the
8 latest information (id., p. 15, lines 20-24); (4) increasing
9 public involvement early in the transmission line siting
10 process (id., p. 15, lines 26-30); (5) consideration of costs
11 and effects before construction (id., p. 15, lines 32-35); and
12 (6) a series of measures that Mr. Janes describes as measures
13 that should be considered "before construction." (Id., p. 16,
14 lines 1-14).

15 Q. Mr. Janes also suggests that the Commission, if it should
16 undertake to develop right-of-way width standards for this
17 line, may wish to consider using a process in which the
18 "similarity" basis for the standard is set using "only newer
19 transmission line designs that minimize electric and magnetic
20 fields." (OCA Statement 1B, p. 15, lines 5-8). Do you have
21 any comments on this idea?

22 A. Yes. First, I would like to note that this appears to be the
23 only factor mentioned by Mr. Janes that is actually related to
24 the question of setting right-of-way width standards.

25 Second, while Mr. Janes' idea is an interesting concept, in my
26 view there would be many problems in attempting to use the
27 process he describes to develop a similarity-based standard.
28 To give but a few examples: How do you determine whether a
29 line has sufficiently incorporated field mitigation techniques
30 to be counted as a "newer transmission line design" for
31 purposes of setting this standard? How do you take into
32 consideration the different constraints that exist on
33 transmission lines being built in urban, suburban, and rural

1 areas? If, as Mr. Janes suggest, lines from other states
2 should be used, how do we decide which states and which lines
3 should form the basis for "similarity" in Pennsylvania?
4 Should the "similarity" level for this "common corridor"
5 transmission line be based only on other "common corridor"
6 transmission lines? If a line which is heavily loaded but
7 uses a field mitigation design has higher field levels than a
8 line which is lightly loaded but does not use a field
9 mitigation design, which should be used to establish the
10 "similarity" level?
11

12 Third, this transmission line uses a "newer transmission line
13 design that minimizes electric and magnetic fields" -- the
14 compact delta. That is one of the reasons that it meets all
15 existing magnetic field standards.

16 IV. Comment on Protestants' Position Statement

1 Q. In their position statement, Protestants suggest that PECO
2 should "purchase . . . all properties any portion of which
3 would be within levels above one milligauss more than 5% of
4 the time." At what distance from the transmission line will
5 the specified milligauss levels exist?

6 A. The specified magnetic field levels would exist out to
7 approximately 230-250 feet on either side of the transmission
8 line. (The background information on magnetic field levels at
9 specified distances from the transmission line, as well as the
10 amount of time specified magnetic fields are expected to
11 exist, is contained in my August 1991 direct testimony and the
12 exhibits attached to that testimony. PECO Direct No. 2 and
13 PECO Exhibit No. 2.)

14 Q. In your opinion, would purchase of these properties be
15 consistent with the concept of prudent avoidance?

16 A. No, for two reasons. First, the researchers at Carnegie
17 Mellon University who formulated the concept of prudent

1 avoidance have stated that moving to get away from a
2 transmission line goes beyond prudence:

3 "If you are buying a new home it might be prudent to
4 consider the location of distribution and transmission
5 lines as one of many things you consider. However,
6 remember that even if fields are ultimately demonstrated
7 to pose a health risk, things like traffic patterns in
8 the streets and radon levels in the house are likely to
9 be more important for your own or your children's safety
10 than anything related to fields. If you are already in
11 a home, moving in order to get away from existing lines
12 goes beyond what we would consider prudent."

13 (Carnegie Mellon Brochure, 1989, p. 27) (emphasis added).
14 Protestants' proposal is simply a way for them to move in
15 order to get away from a line. That goes beyond prudence.

16 Second, the concept of prudent avoidance suggests considering
17 actions that can be done with "small or modest" investments of
18 effort and money. As discussed in Mr. Frieman's testimony
19 (PECO Rebuttal on Remand No. 3), the cost of Protestants'
20 proposal to purchase properties would over \$160 million. That
21 is not a "small or modest" investment and I thus conclude that
22 the proposal is not consistent with the concept of prudent
23 avoidance.

24
25 Q. Protestants also suggest replacing the overhead 230 kV
26 Woodbourne-Heaton line with an underground line. In your
27 opinion, is that proposal consistent with the concept of
28 prudent avoidance?

29 A. No. As discussed in Mr. Oedemann's testimony (PECO Rebuttal
30 on Remand No. 2), the additional cost of building the
31 suggested underground line would be approximately \$38.5
32 million at a minimum. Again, that is not a "small or modest"
33 investment.

34 Q. Does this conclude your testimony?

35 A. Yes.

PECO Direct on Remand No. 1

A-110350F055 PNB, PD

5/27/93

RJS

COPY

BEFORE THE

PENNSYLVANIA PUBLIC UTILITY COMMISSION

DIRECT TESTIMONY ON REMAND

OF

RONALD J. OEDEMANN

ON BEHALF OF

PHILADELPHIA ELECTRIC COMPANY

SECRETARY'S BUREAU
Information Control Division

RECEIVED
JUN 03 1993

FACTUAL BACKGROUND ON THE RIGHT-OF-WAY FOR THE WOODBOURNE-HEATON
230 KV TRANSMISSION LINE

**DOCUMENT
FOLDER**

DOCKETED
JUN 14 1993

May 12, 1993

1 Direct Testimony of Ronald J. Oedemann

2 I. Introduction and Background

3 Q. Please state your name and business address.

4 A. Ronald J. Oedemann, 2301 Market Street, Philadelphia,
5 Pennsylvania 19101.

6 Q. Have you previously testified in this proceeding?

7 A. Yes. I submitted written testimony (PECO Direct Statement No.
8 1) in August 1991. I am the Lead Project Engineer for the
9 Woodbourne-Heaton 230 kV transmission line. My previous
10 testimony addressed the design, construction, and maintenance
11 of the line, the safety considerations incorporated in the
12 line, and alternative line designs.

13 II. Scope of Testimony

14 Q. What is the purpose of your testimony in these hearings on
15 remand?

16 A. I will provide factual background on certain aspects of the
17 Woodbourne-Heaton line, including: (1) a brief review of the
18 design and physical characteristics of the Woodbourne-Heaton
19 transmission line, and (2) a description of the right-of-way
20 for the Woodbourne-Heaton line and the utility corridor in
21 which that right-of-way is located.

22 III. Factual Background on the Woodbourne-Heaton Line

23 Q. Could you briefly review the design and physical
24 characteristics of the Woodbourne-Heaton transmission line?

25 A. A detailed description of the Woodbourne-Heaton line is
26 contained in my previous testimony (PECO Direct Statement No.
27 1, p. 3, line 13 to p. 11, line 2) and in PECO's Letter of
28 Notification (PECO Exhibit No. 1). To review some of the
29 important aspects of that description:

30 The Woodbourne-Heaton line is a fully constructed 230 kV

1 transmission line which electrically connects the Woodbourne
2 Substation to the Heaton Substation. The line is 12.8 miles
3 in length.
4

5 The Woodbourne-Heaton line was constructed using 238 existing
6 transmission line structures ("poles") from an existing, de-
7 energized, Conrail transmission line. (As described in my
8 previous testimony, some of these poles were replaced during
9 construction.)

10 The design of the Woodbourne-Heaton line is a "compact delta"
11 configuration. The "ruling span" (the nominal distance
12 between poles) is 300 feet.

13 Q. Please describe the right-of-way for the Woodbourne-Heaton
14 transmission line.

15 A. The right-of-way for the Woodbourne-Heaton line is an easement
16 acquired by PECO from Conrail. The easement gives PECO rights
17 to aerial space required for the line, as well as to surface
18 and subsurface space for the foundations for the transmission
19 line structures. We determined the amount of aerial space
20 necessary for this line by reference to the National
21 Electrical Safety Code ("NESC). For this line, the NESC
22 requires a right-of-way width of approximately 60 feet
23 (approximately 30 feet on either side of the transmission
24 line). This 60-foot right-of-way is contained within a wider,
25 existing utility corridor owned by Conrail.
26

27 Q. Please describe the Conrail-owned utility corridor within
28 which the Woodbourne-Heaton right-of-way is located?

29 A. The existing utility corridor has several existing or recent
30 public utility uses, including: (1) an active freight rail
31 system operated by Conrail (this freight rail system consisted
32 of two railroad tracks until 1991, when Conrail removed one
33 track and routed all railroad freight traffic to a single

1 track); (2) until 1986, an electric 132 kV transmission line
2 operated by Amtrak as part of its bulk power system; (3) a
3 power feed and signal communications system operated by
4 Conrail, and (4) the Woodbourne-Heaton 230 kV transmission
5 line.

6 The existing utility corridor between the Woodbourne and
7 Heaton substations, as measured at the transmission
8 structures, is approximately 100 feet wide at its narrowest
9 points and approximately 995 feet wide at its widest points.
10 The average width of the corridor is approximately 310 feet.

11 Q. Please describe the location of the Woodbourne-Heaton right-
12 of-way within the wider, existing utility corridor?

13 A. As I stated, the transmission line has 238 poles. At 12 of
14 these poles, one side of the Woodbourne-Heaton right-of-way is
15 coterminous with the edge of the utility corridor. At the
16 points along the utility corridor where the edge of the
17 Woodbourne-Heaton right-of-way is the same as the edge of the
18 Conrail-owned utility corridor, the adjoining land uses
19 consist of commercial property, an electrical contractor, and
20 land with abandoned vehicles and construction equipment.

21 For the remaining 226 poles the Conrail-owned utility corridor
22 extends beyond the edge of the Woodbourne-Heaton right-of-way
23 on both sides of the transmission line. For these 226 poles,
24 the distance from the Woodbourne-Heaton transmission line to
25 the edge of the Conrail-owned utility corridor ranges from
26 approximately 40 feet to approximately 740 feet.

27 Q. Does this conclude your testimony?

28 A. Yes.

PECO Rebuttal on Remand No. 1

A-110550 F055

PHG, PA

5/27/93

RJS

COPY

BEFORE THE
PENNSYLVANIA PUBLIC UTILITY COMMISSION

REBUTTAL TESTIMONY ON REMAND
OF
RONALD J. OEDEMANN
ON BEHALF OF
PHILADELPHIA ELECTRIC COMPANY

SECRETARY'S BUREAU
Information Control Division

JUN 03 1993

RECEIVED

REBUTTAL TESTIMONY TO
PROTESTANTS' POSITION STATEMENT

DOCUMENT
FOLDER

DOCKETED

JUN-14 1993

May 20, 1993

1 Rebuttal Testimony of Ronald J. Oedemann

2 I. Introduction and Background

3 Q. Please state your name and business address.

4 A. Ronald J. Oedemann, 2301 Market Street, Philadelphia,
5 Pennsylvania 19101.

6 Q. Have you previously submitted testimony in this remanded
7 proceeding?

8 A. Yes. I submitted written testimony (PECO Direct on Remand No.
9 1) on May 12, 1993. I am the Lead Project Engineer for the
10 Woodbourne-Heaton 230 kV transmission line.

11 II. Scope of Testimony

12 Q. What is the purpose of your rebuttal testimony?

13 A. I will briefly address the suggestion in Protestants' position
14 statement of May 14, 1993, that the overhead Woodbourne-Heaton
15 230 kV transmission line be replaced with an underground line.

16 III. Information on Undergrounding

17 Q. Have you made an estimate of the cost of placing an
18 underground cable on the Conrail utility corridor to
19 electrically connect the Woodbourne and Heaton Substations?

20 A. Yes. Taking into consideration costs for materials (e.g.,
21 pipe, cable, pumping stations, thermal fill), basic
22 engineering, installation of the cable, and general overheads,
23 I estimate that placing an underground cable on the Conrail
24 utility corridor to electrically connect the Woodbourne and
25 Heaton Substations would cost a minimum of approximately \$38.5
26 million.

27 Q. Do you have an estimate of how long it would take to construct
28 such an underground line?

29 A. I estimate that it would take approximately 2 years after
30 commencement of engineering.

1 Q. Does this conclude your testimony?

2 A. Yes.

COPY

PECO Rebuttal on Remand No. 3

5/27/93

MS

Phila, PA

A-110550F055

BEFORE THE
PENNSYLVANIA PUBLIC UTILITY COMMISSION

REBUTTAL TESTIMONY ON REMAND

OF

DONALD S. FRIEMAN

ON BEHALF OF

PHILADELPHIA ELECTRIC COMPANY

SECRETARIES BUREAU
Information Control Division

JUN 03 1993
RECEIVED

REBUTTAL TESTIMONY TO
PROTESTANTS' POSITION STATEMENT

DOCKETED
JUN 14 1993

DOCUMENT
FOLDER

May 20, 1993

1 III. Information on Protestants' Purchase Proposal

2 Q. Have you estimated of the market value of the properties that
3 would have to be acquired under Protestants' proposal?

4 A. Yes. According to Mr. Boeggeman's testimony, the specified
5 field levels will exist out to approximately 250 feet on
6 either side of the transmission line. Using ^{air} aerial
7 photographs of the length of the line, I identified all
8 parcels that would be affected by Protestants' proposal (i.e.,
9 parcels that have a portion of the property within 250 feet on
10 either side of the transmission line.) From county records I
11 then determined the assessed value for the properties, as well
12 as the accepted ratio in each county of assessed value to
13 market value (this ratio is known as the "common level
14 ratio"). Based on that method, I determined that the
15 approximate market value of the properties affected by
16 Protestants' proposal would be over \$160 million.

17 For the portion of this property which is residential, PECO
18 would not be able to exercise eminent domain. Consequently,
19 one refusal to sell -- by any residential landowner -- would
20 prevent the use of this line. To comply with this condition
21 would require legislation to permit taking of homes by
22 utilities through the exercise of eminent domain.

23 Q. Does this conclude your testimony?

24 A. Yes.

CERTIFICATE OF SERVICE

I hereby certify that I have this day served a true copy of the foregoing document upon the following parties and in the manner indicated below in accordance with the requirements of 52 Pa. Code § 1.54:

BY TELECOPY & FIRST-CLASS MAIL

Robert J. Sugarman, Esquire
Sugarman & Associates
Robert Morris Building
17th Floor
100 N. 17th Street
Philadelphia, PA 19103
(Counsel for Intervenors)

Tanya J. McCloskey, Esquire
Assistant Consumer Advocate
Office of Consumer Advocate
1425 Strawberry Square
Harrisburg, PA 17120

Jesse Dillon, Esquire
Pennsylvania Power & Light Co.
Two North Ninth Street
Allentown, PA 19101

Thomas Watson, Esq.
Crowell & Moring
1001 Pennsylvania Avenue, N.W.
Washington, D.C. 20004-2505

Patricia Krise Burket, Esquire
Pennsylvania Public Utility
Commission
G-28, North Office Building
P.O. Box 3265
Harrisburg, PA 17120

Charles F. Hoffman, Director
Office of Trial Staff
Pennsylvania Public Utility
Commission
P.O. Box 3265
Harrisburg, PA 17120



Ward L. Smith
Assistant General Counsel
Philadelphia Electric Company
2301 Market Street
Philadelphia, PA 19101
(215) 841-6863

Dated: May 20, 1993

5/27/93 Phila., PA
RRS.

BEFORE THE
PENNSYLVANIA PUBLIC UTILITY COMMISSION

PENNSYLVANIA PUBLIC UTILITY
COMMISSION

v.

PENNSYLVANIA ELECTRIC COMPANY

.....

A-110550F055

SECRETARY'S OFFICE
Information Control Division

JUN 03 1993
RECEIVED

ADDITIONAL DIRECT TESTIMONY OF
DAVID E. JANES
ON BEHALF OF THE
OFFICE OF CONSUMER ADVOCATE

DOCUMENT
FOLDER

DOCKETED
JUN 14 1993

ADDITIONAL DIRECT TESTIMONY OF DAVID E. JANES

1 Q. PLEASE STATE YOUR NAME AND BUSINESS ADDRESS.

2

3 A. David E. Janes, Risk Analysis Corporation, Suite 202, 6723
4 Whittier Avenue, McLean, Virginia 22101.

5

6 Q. BY WHOM ARE YOU EMPLOYED?

7

8 A. I am Vice President of Risk Analysis Corporation.

9

10 Q. FOR WHOM ARE YOU APPEARING?

11

12 A. I am testifying at the request of the Office of Consumer
13 Advocate of the Commonwealth of Pennsylvania.

14

15 Q. WHAT ARE YOUR QUALIFICATIONS TO TESTIFY AS AN EXPERT?

16

17 A. I have over thirty years of experience in analyzing the
18 effects and risks of exposure to ionizing radiation and
19 electromagnetic fields. My personal resume was included with
20 my previous testimony¹.

21

22 Q. WHAT IS THE PURPOSE OF YOUR TESTIMONY?

23

1 A. The purpose of my testimony is to discuss the policies various
2 states have used to deal with the possibility that exposure to
3 power frequency electric and magnetic fields may adversely
4 affect human health and to recommend a process the
5 Pennsylvania Public Utility Commission could use to set edge-
6 of-the-right-of-way standards for power frequency electric and
7 magnetic fields.

8
9 Q. DOES EXPOSURE TO THE ELECTRIC AND MAGNETIC FIELDS PRODUCED BY
10 TRANSMISSION AND DISTRIBUTION LINES AFFECT HEALTH?
11

12 A. In my previous testimony¹, I noted that weak electric and
13 magnetic fields can affect cellular and animal systems. I
14 also noted that the weak field effects observed in animals are
15 subtle and often transient or reversible; therefore the
16 connection between these effects and any harm to human health
17 is unclear. This conclusion is still valid. Since I
18 testified in 1991, there have been three extensive reviews of
19 the literature that support this conclusion^{2, 3, 4}.

20
21 Q. HAVE YOU READ DAVID ROSENBAUM'S TESTIMONY ON PRUDENT POLICY IN
22 THE FACE OF UNCERTAIN RISK?
23

24 A. Yes. In particular I noted his summary of the current state
25 of knowledge of the effects of power frequency fields on
26 people, namely⁵:

1 The present epidemiological evidence is
2 suggestive, but far from conclusive. Several
3 studies by well qualified epidemiologists have
4 reported associations between what may be
5 surrogates for long-term average field
6 strength and various types of cancer.
7 Sometimes there is no apparent correlation
8 when actual measured (short term) field
9 strength is used instead of the surrogate.
10 Other studies have reported either no
11 significant correlation or no relationship
12 between fields or field surrogates and cancer.
13 Authors of one study have observed negative
14 correlations between exposure to high magnetic
15 fields and cancer. Another study reports
16 increased cancer, but lower total death rates
17 (due to less cardiovascular disease for those
18 exposed to high fields). One study reports
19 higher cancer incidence for people farther
20 from a power line than for people closer to a
21 power line. Excesses of different cancer show
22 up in different studies (references to
23 original literature in Rosenbaum⁵).
24
25

26 Q. WHAT DO YOU CONCLUDE FROM THIS SUMMARY?
27

28 A. I agree with Dr. Rosenbaum that the epidemiological studies
29 are confusing and that "It is not even clear that even if
30 exposure to power lines does increase the risk of cancer, it
31 is the average magnetic field that is the cause⁵?"
32

33 Q. HAVE ADDITIONAL EPIDEMIOLOGICAL STUDIES OF MAGNETIC FIELDS
34 BEEN REPORTED SINCE DR. ROSENBAUM PREPARED HIS TESTIMONY?
35

36 A. Yes. I have not done an exhaustive search, but I am familiar
37 with four recent reports: two case control studies in Sweden⁶
38 ⁷, a case-control study in Denmark⁸ and a cohort and case-

1 control study of electric utility workers in the United
2 States⁹.

3
4 Q. DO THESE STUDIES RESOLVE THE CONFUSION ABOUT WHETHER EXPOSURE
5 TO POWER FREQUENCY MAGNETIC FIELDS AFFECTS HUMAN HEALTH?

6
7 A. No, they do not. With respect to adult leukemia, the Swedish
8 occupational study⁷ reports a positive association between
9 exposure to magnetic fields and the incidence of chronic
10 lymphocytic leukemia while in the Swedish residential study⁶
11 the association appears to be negative. For childhood
12 disease, the results of the Swedish residential study, namely
13 an association between magnetic field exposure and childhood
14 leukemia but no association for brain tumors, are at variance
15 with the earlier Swedish study of Tomenius¹⁰ who saw only
16 three-tenths of the expected number of cases of leukemia in
17 those more highly exposed to magnetic fields and an increase
18 in the incidence of brain tumors and benign childhood tumors
19 among those with higher field readings and those nearer power
20 lines⁵. The most troublesome of these new results is the
21 association between childhood leukemia and magnetic field
22 exposure in the Swedish residential study. This result must
23 be interpreted with caution because, as demonstrated by the
24 results of the Swedish residential study for brain cancer,
25 associations found in one study may not be found in subsequent
26 studies.

1 Q. WHAT DO YOU CONCLUDE FROM YOUR OVERALL ANALYSES?

2

3 A. At this time, biophysical mechanisms for how weak fields might
4 interact with biological systems to produce harm have not been
5 demonstrated experimentally. Without a viable biophysical
6 mechanism to connect them, the results of the epidemiological,
7 animal, and cellular level studies alone are not strong enough
8 to establish a causal link between exposure to power frequency
9 fields and harmful effects. On the other hand, the
10 experimental evidence makes the hypothesis of harmful effects
11 plausible, and the possibility of harm cannot be summarily
12 dismissed. This results in the unfortunate situation that
13 even after considerable investigation and research, we are
14 uncertain about whether or not exposure to weak power
15 frequency electric and magnetic fields can cause harm.

16

17 Q. WHAT POLICY ALTERNATIVES DO STATE REGULATORS HAVE TO CONTROL
18 EXPOSURE TO POWER FREQUENCY FIELDS FROM TRANSMISSION LINES?

19

20 A. For a number of years, Dr. Granger Morgan and his colleagues
21 in the Department of Engineering and Public Policy at Carnegie
22 Mellon University have been studying how to assess the risk
23 from exposure to power frequency fields and how risk
24 assessments can be used to develop public policy for dealing
25 with real and perceived risks. In a background paper prepared
26 for the U.S. Congress Office of Technology Assessment¹¹ (OTA

1 report) they identified five policy alternatives. The
2 policies that state regulators have adopted fall into one or
3 more of these five alternative policies.
4

5 Q. WHAT ARE THESE POLICY ALTERNATIVES?

6
7 A. The policy alternatives identified in the OTA report are as
8 follows¹¹:

- 9 1. Do nothing until the science becomes better.
- 10 2. Make public information available but take no
11 additional actions.
- 12 3. Adopt a field strength safety standard approach to
13 transmission line fields based on the fiction that
14 the numbers are supported by a review of the
15 science....
- 16 4. Adopt a "similarity" based approach to transmission
17 line fields which makes the exposures that people
18 receive to these fields "similar" to those they
19 receive from other sources in modern life....
- 20 5. Adopt a "prudent avoidance" strategy. That is look
21 systematically for strategies which can keep people
22 out of 60 Hz fields arising from all sources but
23 only adopt those which look to be "prudent"
24 investments given their cost and our current level
25 of scientific understanding about possible risks.
26

1 Q. HAVE STATE REGULATORY AGENCIES ADOPTED ANY OF THESE POLICY
2 ALTERNATIVES?

3
4 A. State agencies have dealt with the uncertainty about possible
5 harm from exposure to power frequency electric and magnetic
6 fields in several different ways. Some states have set
7 standards for electric and/or magnetic field strengths on or
8 at the edge-of-the-right-of-way. Others have decided that
9 standards are not warranted at this time and have active
10 programs for monitoring and evaluating the results of
11 research. Still others have explicitly or implicitly adopted
12 a "prudent avoidance" approach. Recent state activities are
13 summarized and discussed in reference 4.

14
15 Q. WHICH STATES HAVE ADOPTED STANDARDS?

16
17 A. Seven states: Florida, Minnesota, Montana, New Jersey, New
18 York, North Dakota, and Oregon, have established standards to
19 regulate electric field strength on or at the edge of the
20 right-of-way. Florida and New York have standards that
21 regulate magnetic field strength at the edge of right-of-way.
22 Table 1 lists these states together with the adopted field
23 levels¹². Neither Florida nor New York, the two states that
24 have adopted standards for both electric and magnetic fields,
25 represent these standards as "health" based standards. They

1 fit more logically into Option 4, the similarity based
2 approach.

3
4 Q. WHAT OTHER ACTIONS HAVE STATE AGENCIES TAKEN?

5
6 A. Many states and other groups have conducted or are conducting
7 detailed studies, e.g., California, Colorado, Connecticut,
8 Illinois, Kansas, Florida, Maryland, Minnesota, New York,
9 Oregon, and Virginia have or are in the process of evaluating
10 the results of biological effects research. Some of these
11 evaluations are updated on mandated schedules, often annually.
12 California, New York, and Maryland have supported or are
13 supporting biological effects research, and Maryland has
14 supported work on shock and corona related effects. The State
15 of Washington has examined research needs for the reduction of
16 electric and magnetic fields and work on techniques to
17 mitigate magnetic field strength is being supported by state
18 agencies or utilities in Florida, New York, and Rhode Island.

Table 1. Summary of Existing and Interim Standards for Transmission Line Electric and Magnetic Field Strength (Adapted from reference 12).

State	Electric Field		Magnetic Field
	On Right-of-Way	Edge of Right-of-Way	Edge of Right-of-Way
Florida	8 kV/m ¹ 10 kV/m ²	2 kV/m	150 mG (max. load) ¹ 200 mG (max. load) ² 250 mG (max. load) ³
Minnesota	8 kV/m		
Montana	7 kV/m ⁴	1 kV/m	
New Jersey		3 kV/m	
New York	11.8kV/m	1.6kV/m	200 mG ⁵
North Dakota	9 kV/m		
Oregon	9 kV/m		

¹ For 230-kV or smaller lines. ⁴ Max. for highway crossings
² For 500-kV lines. ⁵ Interim standard.
³ For 500-kV double-circuit lines.

The California and the Maryland Public Service Commissions have taken the position that standards are not warranted at this time. The Colorado Public Utilities Commission has adopted a rule that stresses prudent avoidance but does not set numeric limits. In its proposed regulations, Ohio is requiring that applicants for certification of electric transmission facilities address possible health effects in its consideration of EMF design alternatives.

1 Q. WHAT ROLE DOES THE FEDERAL GOVERNMENT HAVE IN REGULATING POWER
2 FREQUENCY FIELDS?
3

4 A. Federal agencies are devoting increasing attention to the
5 potential harm from exposure to power frequency electric and
6 magnetic fields. The Energy Policy Act, signed last October,
7 identifies two federal agencies to lead a 5 year, \$65 million
8 EMF research effort. The Department of Energy is responsible
9 for engineering research and the National Institute for
10 Environmental Health Sciences is responsible for health
11 effects research. The two committees authorized by the act to
12 advise on the research programs have not yet been appointed,
13 which may delay the efforts of these two agencies to implement
14 this new program. Other federal agencies with programs or
15 interests in this area include the Department of Defense,
16 Department of Transportation, Environmental Protection Agency,
17 Federal Energy Regulatory Commission, National Institutes of
18 Standards and Technology, Occupational Safety and Health
19 Administration, and Rural Electrification Administration.
20

21 No single federal agency has a clear mandate to regulate
22 exposure to power frequency electric and magnetic fields. If
23 federal regulation were needed, legislation assigning
24 regulatory responsibility to an agency would be the most
25 straightforward approach. Even without new legislation, the
26 Environmental Protection Agency could provide guidance to

1 federal agencies using its Federal Guidance Authority. Each
2 federal agency responsible for transmission lines would then
3 have to develop its own regulations in a manner similar to how
4 each federal agency has developed its own regulations for
5 implementation of its responsibilities under the National
6 Environmental Protection Act (NEPA). EPA developed federal
7 guidance would not apply directly to states, but it could set
8 a precedent for state action. Alternatively, EPA or others
9 could, in consultation with the states, develop model state
10 regulations. Impetus for federal action would most likely
11 come from a desire to have uniform standards, especially for
12 lines that cross state boundaries.

13
14 Q. IN YOUR OPINION, CAN A HEALTH BASED STANDARD FOR POWER
15 FREQUENCY ELECTRIC AND MAGNETIC FIELDS BE ESTABLISHED AT THIS
16 TIME?

17
18 A. No. The uncertainties are just too great. In addition to the
19 uncertainties about whether exposure to these fields is
20 harmful that I have discussed above, there are two other major
21 problems. First, we don't know what aspect of exposure (dose)
22 to control. Should it be the average electric field? The
23 average magnetic field? Should it be the peak values?
24 Second, the shape of the response function is also unknown.
25 Is there a threshold field strength for effects? Are there
26 frequency and intensity windows as some cellular level

1 experiments suggest? In my opinion these uncertainties
2 preclude the possibility of setting a credible health based
3 standard at this time.
4

5 Q. ARE THE FLORIDA AND NEW YORK STANDARDS BASED ON AVOIDANCE OF
6 ADVERSE HEALTH EFFECTS?
7

8 A. No. They are engineering standards. For example the New York
9 standard is based on measurements taken on 345 kV lines in New
10 York. It has some of the aspects of a "similarity" standard.
11 Morgan and coworkers define the similarity concept as
12 follows¹¹:

13 Similarity based control sets out to make
14 people's exposures to transmission line fields
15 as "similar" as possible to the exposures we
16 receive from all the other fields in our day-
17 to-day lives: exposure from the fields from
18 power lines out in the street, the wiring in
19 the buildings we live and work in, and the
20 appliance we use during the day and sleep with
21 at night.
22

23

24
25 A similarity based approach to transmission
26 line field control can be justified on two
27 possible grounds:
28

29 1. "Acceptability" - In this case the
30 argument is that the fields to which we are
31 all exposed from other sources constitute a
32 socially acceptable level of risk. By making
33 transmission line field exposures similar, we
34 make them socially acceptable.
35

36 2. "Equity" - In this case the argument
37 is that if transmission line fields are made
38 similar to the fields to which we are all
39 exposed from other sources then we are not

1 asking residents who live along transmission
2 line right-of-ways to bear field related risks
3 that are any different from those born (sic)
4 by all members of modern society.
5

6 One could also argue that the New York standard incorporates
7 some prudence, since the standard was set at the average
8 values of electric and magnetic fields rather than the maximum
9 values to which some New York citizens are exposed. However,
10 in choosing the standard the fields were made similar to other
11 transmission line fields, not to fields from other sources
12 such as distribution lines or appliances.
13

14 Q. HOW DO THE ELECTRIC AND MAGNETIC FIELDS PRODUCED BY THE
15 WOODBOURNE-HEATON 230 KV LINE COMPARE TO THE STANDARDS THAT
16 HAVE BEEN ADOPTED BY NEW YORK AND FLORIDA?
17

18 A. According to PECO, the maximum electric field on the right-of-
19 way and the maximum electric field at the edge of the right-
20 of-way are 1.9 kV/m and 1.2 kV/m respectively¹³. The maximum
21 values of the magnetic field depend upon the line loading, see
22 Table 2. If the line operates as indicated¹⁴, namely, 90 % at
23 "light" and "normal" loads, 0.05 % (4 hours) at "emergency
24 maximum", and the remaining time at "heavy" load, then the
25 maximum annual average fields on the right-of-way and at the
26 edge of the right-of-way should not exceed 45 and 27
27 milligauss, respectively. Under "emergency maximum" operating
28 conditions the maximum fields on the right-of-way and at the
29 edge-of-the-right-of-way are 120 and 70 milligauss,

1 respectively. None of these values exceed the Florida or New
2 York standards, see Table 1.

3
4 =====
5 Table 2. Calculated Electric and Magnetic Fields for Woodbourne-
6 Heaton 230-kV Transmission Line (From reference 13).
7 =====

8
9 Location Electric Magnetic Field (mG) / 1000
10 Field (kV/m) 180 Amps 360 Amps 600 Amps 1200 Amps
11 -----
12 Edge of 1.2 13 25 42 70
13 Right-of-
14 Way
15
16 Maximum 1.9 21 42 70 120
17 on Right-
18 of Way
19 -----

20
21 Q. IF A HEALTH BASED STANDARD CANNOT BE DEVELOPED AT THIS TIME,
22 COULD SIMILARITY AND PRUDENCE CONCEPTS BE INCORPORATED INTO
23 THE REGULATORY PROCESS?

24
25 A. Yes. For example, Pennsylvania could adopt the approach used
26 by the state of New York to derive electric and magnetic field
27 values. For the particular case of 230 kV transmission lines,
28 the process would require determining the maximum electric and
29 magnetic fields at the edge of the right-of-way for a
30 representative sample of 230 kV transmission lines, not
31 necessarily only those in Pennsylvania. From the results of
32 such a study, values of electric and magnetic field strength
33 could be selected that would be typical or similar to values
34 elsewhere in the state.
35

1 Q. IF ONE WERE TO CONDUCT A STUDY OF TYPICAL FIELD STRENGTHS AS
2 A BASIS FOR A "SIMILARITY" BASED STANDARD, HOW COULD PRUDENCE
3 BE INCORPORATED INTO THE PROCESS?
4

5 A. There are several ways prudence could be addressed. One could
6 use only newer transmission line designs that minimize
7 electric and magnetic fields in establishing similarity
8 standards. In new applications, the Commission could require
9 that utilities document the electric and magnetic fields
10 produced by each of the alternative designs they considered as
11 well as the actions actively taken to reduce electric and
12 magnetic fields and the attendant costs. Other prudence
13 measures were addressed by Dr. Rosenbaum earlier in this
14 proceeding^s, and should be considered in all siting
15 proceedings, namely:

- 16 ● Research into the effects of electric and magnetic fields
17 should be continued.
- 18 ● The government and the industry should be aggressive in
19 periodically informing the public about the latest
20 information, stressing its uncertainty and changeability.
21 This needs to be done in an absolutely impartial manner
22 and before it is required.
- 23 ● The public should be involved in the decision making
24 process before critical decisions are made. This is not
25 at all the same thing as having public meetings or
26 private sessions with concerned individuals to convince
27 them after the decision is made.
- 28 ● At the very least, companies considering power line
29 projects should consider the cost and effects of possible
30 mitigative measures before any construction is decided
31 on.
32
33
34
35
36

1 Mitigative measures that should be considered
2 before construction begins may include, but are not
3 limited to:

- 4
5 ● avoiding heavily populated areas
6 ● avoiding parks, schools, and other public
7 facilities
8 ● widening rights-of-way
9 ● limiting public uses of rights-of-way
10 ● using higher ground clearances
11 ● designing the power lines to reduce the fields

- 12
13 ● In planning one should err on the side of safety, but not
14 without considering the cost.

15
16 Q. DO YOU HAVE A RECOMMENDATION FOR HOW THE COMMISSION MIGHT
17 PROCEED TO SET A NUMERICAL STANDARD FOR ELECTRIC AND MAGNETIC
18 FIELDS AT THE EDGE-OF-THE-RIGHT-OF-WAY FOR THE WOODBOURNE-
19 HEATON 230 KV TRANSMISSION LINE, IF IT CHOOSES TO DO SO?

20
21 A. Yes, a qualified one. As I already have said, because of
22 scientific uncertainty it is premature to set a health based
23 standard. We cannot say that exposure above a certain level
24 will have an adverse effect on health or that exposures below
25 a certain level are completely safe. Nevertheless, if one is
26 required to choose some numerical limit, three things need to
27 be stated explicitly:

- 28 ● First, the standard should be interim because
29 considerable research on this issue is underway and
30 much more is planned over the next five years.
31
32 ● Second, because the present record was developed
33 for a specific 230-kV line, the standard should be
34 specific for that line only.
35
36 ● Finally, it needs to be recognized and stated that
37 the standard is not based on avoidance of health
38 effects.
39

1 With these conditions, the Commission, as an interim measure,
2 could adopt a similarity and prudence based standard for the
3 Woodbourne-Heaton line using the fields produced by 230-kV
4 lines of modern design as a basis, not necessarily just those
5 in Pennsylvania. Using the fields produced by newer lines,
6 where minimization of electric and magnetic fields has been
7 included in the design, will incorporate a measure of prudence
8 into the interim standard.

9
10 Q. DOES THIS CONCLUDE YOUR TESTIMONY?

11 A. Yes.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29
30
31
32
33
34
35
36
37
38
39

REFERENCES

1. Janes DE (1991): The effects of power frequency fields on animal and cellular systems. OCA Statement No. 1.
2. ORAU Panel on Health Effects of Low-Frequency Electric and Magnetic Fields (1992): Health Effects of Low-Frequency Electric and Magnetic Fields. Available from National Technical Information Service (publication number ORAU 92/F-8) or United States Government Printing Office (publication number 029-000-00443-9).
3. Advisory Group on Non-ionising Radiation (1992): Electromagnetic Fields and the Risk of Cancer. Documents of the NRPB, Volume 3, number 1. National Radiological Protection Board, Chilton, Didcot, Oxon.
4. Energetics (1992): Status report on potential human health effects associated with power frequency electric and magnetic fields: Reporting period, June 1991-May 1992, Maryland Department of Natural Resources and Public Service Commission of Maryland, Annapolis, MD.
5. Rosenbaum DM (1991): Prudent policy in the face of uncertain risk. OCA Statement No. 2.
6. Feychting M, Ahlbom A (1992): Magnetic Fields and Cancer in People Residing Near Swedish High Voltage Power Lines. Stockholm: Instituted for miljomedicin, IMM-rapport 6/92.
7. Floderus B et al. (1992): Occupational exposure to electromagnetic fields in relation to leukemia and brain tumors. A case-control study. Solna, Sweden: PM 2nd edition: National Institute of Occupational Health.
8. Olsen J, et al. (1992): Residences Near High-Voltage Plants and the Risk of Cancer in Children. Copenhagen: Cancer Registry of the Fight Against Cancer: Background Report.
9. Sahl JD, Kelsh MA, Greenland S (1993): Cohort and Nested Case-Control Studies of Hematopoietic Cancers and Brain Cancer among Electric Utility Workers. *Epidemiology* 4(2): 104-114.
10. Tomenius L (1986): 50-Hz Electromagnetic Environment and the Incidence of Childhood Tumors in Stockholm County. *Bioelectromagnetics* 7(2): 191-207.

- 1 11. Nair I, Morgan MG, Florig HK (1989): "Biological Effects of
2 Power Frequency Electric and Magnetic Fields: Background
3 Paper" (Prepared for the U.S. Congress Office of
4 Technology Assessment), Washington, DC: U.S. Government
5 Printing Office.
- 6 12. Lee JM, Chartier VL, Hartman DP, Lee GE, Pierce KS, Shon FL,
7 Stearns RD, Zeckmeister MT (1989): "Electrical and
8 Biological Effects of Transmission Lines: A Review."
9 Portland, OR: Bonneville Power Administration.
- 10 13. Boeggeman CJ (1991): Testimony before the Pennsylvania Public
11 Utility Commission on Behalf of Philadelphia Electric
12 Company, PECO Exhibit No. 2, p. 2 and pp. 7-8.
- 13 14. Boeggeman CJ (1991): Testimony before the Pennsylvania Public
14 Utility Commission on Behalf of Philadelphia Electric
15 Company, Direct Testimony, p. 8.